

WORKSHOP
STATE WATER RESOURCES CONTROL BOARD
STATE OF CALIFORNIA

—o0o—

Subject: *Review of Water Quality Standards
for the San Francisco Bay/
Sacramento-San Joaquin Delta Estuary*

—o0o—

Held in
Resources Building
Sacramento, California

—o0o—

**Thursday, July 14, 1994
9:30 a.m.**

VOLUME VI

A L I C E B O O K
CERTIFIED SHORTHAND REPORTER
24122 MARBLE QUARRY ROAD
COLUMBIA, CALIFORNIA 95310

PHONES: 916 457-7326 & 209 532-2018

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

---oOo---

Board Members:

JOHN CAFFREY, Chairman

JAMES STUBCHAER, Vice Chairman

MARC DEL PIERO

JOHN BROWN

MARY JANE FORSTER

Staff:

WALTER PETTIT, Executive Director

THOMAS R. HOWARD, Senior Engineer

BARBARA LEIDIGH, Senior Counsel

ADRIAN GRIFFIN, Economist

—oOo—

INDEX**SPEAKERS:**

Kenneth Robbins	1
Tom Zuckerman	16
David Whitridge	23
Alex Hildebrand	27
Andrew Hitchings	31
Gary Bobker	37
Tom Berliner	49
David Guy	62
Bill DuBois	71
Laura Hoover	74
Noon Recess	83
Jim Catigny	83
Alan Lilly	92
Russ Brown	106
Kevin O'Brien	138

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27

THURSDAY, JULY 14, 1994, 9:30 A.M.

--oOo--

MR. CAFFREY: Good morning. My name is John Caffrey, Chairman of the State Water Resources Control Board. Welcome to this continuation of the Delta Workshop.

We read a statement into the record yesterday as to the purpose of this particular session. I will forego the rereading of that. I see a lot of familiar faces in the audience, and I am sure everybody knows why they are here, and I will forego the introductions. You can read our names and know who we are.

So, with that past us, we will get right to the presentations. We still have about 16 presentations. I don't know if all the individuals have decided to come back today, but I will start with the reading of the names, and if somebody is not here, I will put the name further back and try it again toward the end.

The first card is Ross Rogers, General Manager of the Merced Irrigation District. I believe, sir, that you are representing Mr. Rogers?

MR. ROBBINS: That is correct. Mr. Rogers is at the Ag Power meeting this morning and will not be able to be here, so I will be appearing on his behalf.

MR. CAFFREY: Thank you, sir. Would you identify yourself for the record?

MR. ROBBINS: My name is Kenneth Robbins, the General Counsel for Merced Irrigation District, and Merced would like

1 to make just a few brief comments. Most of what we had to say
2 was said yesterday, and I think that may be true of what we
3 are going to say today.

4 It's important, I think, to emphasize certain points
5 that are coming before you.

6 The reason the Framework Agreement executed by Club
7 Fed and the State Board, among other things, pledges to
8 minimize overall costs in water dollars in achieving
9 environmental protection and in meeting those requirements the
10 Board, by virtue of that pledge, must also be pledging to
11 attempt to correct issues in the Delta that are in existence
12 from factors other than flow.

13 The Delta Tributaries Agency Committee in its June
14 workshop provided you a list, certainly not an exhaustive
15 list, but the list of what we believe are some of the major
16 factors causing problems in the Delta and I thought that we
17 would talk about a couple of those problems this morning
18 because they deserve some special emphasis.

19 One of those is having to do with introduced species.
20 Carl Winkler, who is familiar to you, the Chief of the Delta
21 Planning Branch of the Department of Water Resources, has
22 estimated as much as 90 percent of the aquatic species in the
23 Delta are exotic species in terms of population numbers. It
24 would appear that because of the competitive success that
25 those introduced species are having in the Delta, merely

1 supplying more flows is really not going to fix the Delta.
2 That is particularly true in light of some of the predatory
3 species such as the striped bass.

4 Now, with respect to the striped bass, the
5 Environmental Protection Agency's approach to gauging the
6 health of the Delta included the striped bass index or at
7 least, at least enlarging the habitat range of the striped
8 bass.

9 One of our directors, when we were discussing this,
10 asked me to convey to you his thoughts in the matter. He has
11 been reading a book about the Serengetti and he said that it
12 is very much like a biologist who knows the predatory
13 relationship between lions and zebras. If you know that
14 relationship, you probably can gauge the number of zebras in
15 a district by counting the number of lions, and that's what
16 the striped bass was intended to do. If you know how many
17 striped bass, you probably know about what the rest of the
18 Delta is doing. But just because you introduce more lions in
19 the district doesn't mean you're going to have more zebras,
20 and that's apparently what the logic is of expanding the
21 habitat for striped bass, is that somehow by having more
22 striped bass, we will also have more prey. I think the
23 opposite might very well be true.

24 We suggest that you leave the striped bass alone and
25 let it indicate whatever it indicates since that's what it's

1 supposed to do, and concentrate our mitigation efforts
2 elsewhere.

3 Kern County has introduced some information to you in
4 the form of their economic analysis. The main point they make
5 in any economic analysis is you have to subject the
6 information that you are developing to a reality check and we
7 think that theory should flow through to all other aspects of
8 the Delta analysis.

9 Whenever you are talking about factors and potential
10 solutions to the Delta, we ought to back away from some of the
11 technical information we get from time to time because we do
12 have a tendency, particularly in the water world, to get
13 bogged down in minutiae, and to take a look at the big picture
14 from time to time and see if it passes the smell test, and
15 some of these models, particularly the economic analysis,
16 which we will discuss in a minute, have real problems. You
17 heard yesterday what some of those problems were.

18 I also want to talk to you a little bit about
19 transfers before we kind of get into the economic issue,
20 because, as you know, the Merced Irrigation District has
21 attempted to make a 60,000 acre-foot transfer since the spring
22 of 1993 to entities west or south of the Delta. Let me see if
23 I can describe our view of what has occurred there, because in
24 our view, since the transfer was being proposed during times
25 in which the water could be put into the stream for fish

1 flows, i.e., in the spring, for outmigration of smolts and in
2 the fall for attraction flows, it was going down the Merced
3 River, the natural channel of the San Joaquin, helping the
4 salt problem and certainly helping at Vernalis. It was not
5 increasing Q WEST. It wasn't affecting that as coming from
6 the south side of the Delta.

7 If any transfer upstream of the Delta could be made,
8 this transfer is the one that should be made, and our
9 experience has been this: After agreeing about the price and
10 the amount of the water to be transferred, the regulatory
11 process involved us meeting on many different occasions with
12 six different Federal and State agencies who produced 23
13 different recommendations, all speaking for different sides of
14 an issue.

15 For instance, in our dealing with Fish and Wildlife,
16 we had the refuge people talking to us about duck water and we
17 had the fish people talking to us about outflow, and the net
18 result of that is that we have now transferred, of the 60,000
19 acre-feet, 30,000 to the Bureau for outflow, and we are still
20 awaiting the transfer of the water south of the Delta.

21 Now, we understand that an opportunity may be open
22 quickly to make that transfer. Yes, sir.

23 MR. BROWN: You said the Bureau took 50 percent of
24 the water for carriage?

25 MR. ROBBINS: They purchased it. They did not take

1 it, they purchased it. They had money, apparently, through
2 the CVPIA and Fish and Wildlife was requesting the water.
3 Both of the agencies, the buying and the selling agencies,
4 agreed to go ahead and sell that to the Bureau for outflow
5 purposes.

6 MR. BROWN: At the same price you negotiated with
7 Westlands?

8 MR. ROBBINS: That is correct. However, both of the
9 projects still insisted that we have refill criteria even for
10 the outflow, and the refill criteria not only had to concern
11 itself with making sure that water, which in the future would
12 have gotten to the Delta had the extra layer been in our
13 reservoir, but also that during refill operations of Lake
14 McClure that we comply with all of the biological opinions for
15 the Delta, including those which may come in the future, that
16 didn't even exist at the time we were trying to make these
17 transfers. We had no ability to gauge the exposure that we
18 had with respect to that refill criteria. Those obstacles
19 haven't been overcome.

20 I would suggest to you that the transfer process
21 itself has become so adversarial as to almost eliminate the
22 potential transfers of non-project waters from north of the
23 Delta to south of the Delta with any kind of expediency that
24 is expected by this Board and by others who are reviewing this
25 process. These transfers simply aren't going to take place in

1 the kind of volumes with the kind of quick reaction times that
2 everybody seems to be telling us is going to take place.

3 And let me tell you the real reason. It is not
4 because those people who are acting on behalf of the agencies
5 are doing a poor job. They are not. The system has evolved
6 to the point now where it's become so adversarial that if
7 everybody does their job well, no water gets transferred. And
8 that's the real crux of the problem.

9 The evolution of the water transfer system in
10 California is out of sync with what you are being told is
11 actually occurring here, at least with respect to non-project
12 water.

13 Let me also, then, turn attention a little bit to --
14 MR. STUBCHAER: Mr. Robbins, is that because you need
15 to use the project facilities to wheel the water?

16 MR. ROBBINS: Exactly.

17 MR. STUBCHAER: Can you use the State facilities
18 without going through the same hurdles?

19 MR. ROBBINS: No, we cannot. In fact, the State
20 Project and Federal Project were both involved in these
21 negotiations because the transfer had the possibility -- and
22 in fact, this extension will be coming to you later, and I am
23 not sure how much of this I should be getting into.

24 We have an order from you now that allows us to
25 transfer through the 31st of August, and in July we are in the

1 process of applying for an extension to allow some transfers
2 in August. The projects are telling us that on the 18th of
3 July, they will have the capacity to begin making the
4 transfers, but they may go into August, in which case we will
5 have to switch from the Federal Project to the State Project
6 in order to complete the transfer.

7 Also, there's a block of water that's been
8 transferred in October which will act as a fall attraction
9 flow, but will all be picked up by the pumps and taken south,
10 and so we need additional permission for that, and on it goes.
11 The answer is both of the projects are involved in this
12 transfer, and I think future transfers will involve them both
13 because of the need to switch back and forth based upon take
14 limits and capacity and that sort of coordination.

15 MR. CAFFREY: Mr. Brown.

16 MR. BROWN: Where is the bottleneck occurring for
17 nonproject water? Is it occurring with State Water Board
18 staff, Bureau of Reclamation --

19 MR. ROBBINS: No, in fact your staff has been
20 extremely helpful in trying to expedite these matters. The
21 breakdown occurs in attempting to get the resource agencies
22 and delivery agencies to agree upon how the water will be
23 handled, how it will be transferred, who will pick it up,
24 who will move it, how it will be used, the flows, when and if
25 they can get them at proper times, and just getting people to

1 take responsibility for making decisions.

2 My personal view as counsel in this matter is that
3 nobody came to the table with authority to act because of the
4 uncertainty of what was facing them was so great.

5 We were attempting to transfer water at a time in
6 which the pumps were down, for lots of reasons, including
7 winter run at first, and ultimately the Delta smelt. There
8 turned out to be a lot more smelt this year than anybody
9 thought were in the Delta. They were too close to the pumps,
10 so they were exceeding the take limits.

11 So, the variables were so many, and the potential
12 range of the changes in the variables were so great and the
13 danger of going outside the parameters of those variables was
14 so high, that nobody would make a decision. It was really a
15 difficult time for everybody, and I do not fault the people
16 involved. I want to make that clear. I think they were doing
17 their job.

18 Any other questions about that?

19 MS. FORSTER: Yes, thanks for asking if there are any
20 questions. From that experience that you have had, can you
21 put that down in a workable form that maybe this doesn't have
22 to be a repeat performance? I mean, have you learned enough
23 to help others and let folks like us understand what the
24 problems are so that we go around and we talk about these
25 issues, we are through that hurdle and ready to help people in

1 the decision-making process for water transfers?

2 MR. ROBBINS: We have talked with both the Bureau and
3 the State Project about doing a critique of this process.
4 It's kind of a learning process of what we view are problems
5 that need to be solved. One of those problems is going to
6 come before you and that is the issue of refill criteria, and
7 here is the real issue. If we are taking water that's in our
8 reservoirs at this point that happens to be temporarily
9 surplus to our needs, and we are putting it down the river
10 during times that are fish friendly, and particularly on the
11 San Joaquin, helping Q WEST and helping the problems at
12 Vernalis, etc., and that water also goes to outflow, so that
13 the water got to the Delta and helped the Delta, why do you
14 have any refill criteria at all?

15 For instance, in later years, the danger is that the
16 Delta won't have gotten water that we spilled sooner; in other
17 words, the 60,000 acre-feet that are on top of our reservoir
18 in future years would have been spilled to the reservoir
19 sooner in large water years, but for this transfer. Well, the
20 problem with that is that in those large water years, you
21 don't need that extra water in the Delta. I mean, you've got
22 too much water in those years, so why can't we take water off
23 the top of our reservoirs now and transfer it without having
24 refill obligations. That's particularly true of outflow, and
25 even if it is transferred water there comes a point at which

1 these refill criteria mean we can't fill our own reservoirs
2 because we have transferred in an effort to help the rest of
3 the State. So, that's going to be a real problem to face in
4 the future and that is an issue that you can't help us with.

5 MR. BROWN: Who establishes the refill criteria?

6 MR. ROBBINS: Right now, that's kind of the irony of
7 the thing because it is really a subject of negotiation
8 between the projects because they are the ones that are
9 impacted, i.e., if we don't fill in the later years, they
10 don't get to pick it up sooner, so right now the refill
11 criteria is strictly a matter of getting across the table from
12 the Bureau and the State Projects and arguing about who has to
13 be responsible for that, and we need to have some
14 predictability about what that's going to be.

15 That's particularly true, since they are now thinking
16 that they have to hold us accountable for operations in the
17 Delta during our refill operations that may be affected by
18 future biological opinions on species that aren't even listed
19 right now, particularly the splittail.

20 MR. DEL PIERO: That's the second time I've heard
21 that assertion. That sounds like some biologist playing a
22 lawyer.

23 MR. ROBBINS: I agree with you.

24 MR. DEL PIERO: I don't know how any condition can be

25 /////

1 placed upon anyone with any kind of water rights based on some
2 potential listing of some maybe species. I mean, the
3 relationship between that and reality does not exist. So,
4 attempting to establish some type of flow criteria or release
5 criteria or diversion criteria predicated on something that is
6 so ephemeral as that --

7 MR. ROBBINS: We use those exact same words. How can
8 you do that. In fact, somebody in that room, and there were
9 at one point 28 of us, said, does your boss know what you are
10 saying here? Is this really the position of the Department of
11 Water Resources?

12 MR. DEL PIERO: A better question would be does their
13 chief counsel know?

14 MR. ROBBINS: Well, in any case, those are the kinds
15 of hurdles that are cropping up in these negotiations.

16 MR. CAFFREY: Mr. Brown has another question.

17 MR. BROWN: I can see where the Central Valley
18 Project could be impacted by their criteria that they have out
19 of the Stanislaus and other rivers up there. What impact does
20 the State have on this, the Department of Water Resources?

21 MR. ROBBINS: Well, because the State Project may be
22 necessary to help carry out the transfer.

23 MR. BROWN: But you are not using the State facility;
24 are you?

25 MR. ROBBINS: We may if we have to use the August

1 window to transfer water.

2 MR. BROWN: But this 60,000 acre-feet, didn't that go
3 down the DMC?

4 MR. ROBBINS: It is currently designed to do that.
5 However, because of the operations that have occurred in the
6 Delta, the Federal project is only available through July 31.
7 After that we will have to pick up transfers in the State
8 project because they will have the capacity then.

9 MR. BROWN: That, of course, involves then the
10 Department. Was the Department involved in the RICA criteria?

11 MR. ROBBINS: Yes, they were. In fact, it was they
12 who suggested that's what we had to live with.

13 MR. BROWN: Maybe our staff, Mr. Pettit could
14 investigate, if you would, what relationship would exist from
15 taking water out of Lake McClure, how we would be involved as
16 a State agency, in the RICA criteria. I don't understand
17 that.

18 MR. PETTIT: We will look at it separate from Mr.
19 Howard's responsibility.

20 MR. CAFFREY: That is not a subject of this hearing,
21 but we will certainly look into that.

22 MR. ROBBINS: I guess the whole purpose was to tell
23 you that the transfers aren't the easy, dreamable things
24 everybody seems to think they are going to be. It's just not
25 working out that way. There are possibilities for it to get

1 to that point, but at this point, rarely because of the take
2 limits and the need to coordinate the two projects and their
3 capacities, it is just very difficult.

4 MR. CAFFREY: Any other questions of Mr. Robbins?

5 MR. ROBBINS: I have a couple of remarks, but I think
6 I've taken enough of your time. Most of those basically went
7 to the economic analysis. There are several points I wanted
8 to make and that is I think I heard yesterday from one of the
9 authors of the Silberman Model, for instance, that there was
10 no accounting for real world activities. Basically, they used
11 theoretical modeling. Farmers don't switch from high to low
12 crops that quickly. A switch takes a whole lot of capital and
13 we don't have that and in the absence of somebody buying
14 excess water needed to meet the standards of the Delta, we're
15 not going to get the capital, either the farmers or the
16 District, to switch to these low-flow, high value crops. So,
17 if that is, in fact, in our future, some part of the standards
18 ought to be designed around compensation. In other words, we
19 are not going to be able to switch as quickly as you think,
20 particularly since yesterday you heard testimony that in some
21 areas of the San Joaquin Valley, default rates are very high.
22 During the Depression, Merced Irrigation District owned 50
23 percent of itself, and we don't choose to try to head back in
24 that direction.

25 Also, any standards should take into account the

1 multiplier effect and neither of the two models had any
2 multiplier effect, and neither of the two models that EPA used
3 had, in its economic analysis, any multiplier effect, and
4 finally, one other point is that those analyses looked at
5 single-year, average-year impact, and we think that your
6 standards are really taking into account the very high
7 possibility of another multiple-year drought. In 1991, many
8 of us were faced with zero surface water deliveries to our
9 clients until we had the miracle March. Miracle March came
10 too late for the banks to loan farmers money to plant, so we
11 had substantially reduced acreage, even though we had a little
12 more water than we initially thought we would.

13 So, the promise that as storage goes down over
14 multiple-year droughts, the ability to react to dry years that
15 come along is reduced and so not only the cumulative effects
16 of the lost agricultural production should be used as an
17 economic indicator, but the cumulative loss of storage should
18 also be used when you are analyzing any potential impact for
19 standards in the Delta. Thank you.

20 MR. CAFFREY: Thank you very much, Mr. Robbins. Any
21 questions from staff? Thank you, sir.

22 Tom Zuckerman -- a good sense of timing, Mr.
23 Zuckerman. I understand you are here in place of Mr.
24 Nomellini, who spent the entire day with us yesterday. I am
25 sure he explained to you about it.

1 MR. ZUCKERMAN: He told me it was a particularly
2 enlightening experience.

3 MR. CAFFREY: I suppose you could call it that.

4 MR. DEL PIERO: Dante is well known for his
5 truthfulness and candor.

6 MR. ZUCKERMAN: My name is Tom Zuckerman, and we have
7 previously submitted some written copies of comments that we
8 intend to address to this subject and to this workshop, and as
9 you know, we have been in attendance and participating in the
10 previous workshops, and rather than just hew strictly to the
11 questions for today, what we are trying to do is pick up ones
12 that we understood to be the desire that some of the Board
13 members expressed in the previous hearings to try to get some
14 idea as to how we would approach the general problem, and I
15 will attempt not to read this statement in its entirety, but
16 I would recommend it to you for close study. It closely
17 resembles the approach that we have recommended to the Board
18 previously, most recently in response to some of the staff of
19 the D-1630 decision, and as time goes on, at least as I read
20 what we have written, it wears well.

21 I think there is a good deal of wisdom in it, and
22 although it predictably takes the position that you probably
23 would expect to hear from people representing the Delta, I
24 think recent events have borne out some of the intelligence of
25 it.

1 The principal points that we make and want to make as
2 firmly as we can is that we think it is increasingly clear now
3 that the Board must make a strong commitment to reversing the
4 declines in the significant natural introduced fishery
5 species, depending upon this estuarine system. Your options
6 have been narrowed to some degree by the action of Club Fed
7 agencies and it becomes fruitless to try to avoid that and not
8 address those issues at this point because you will be
9 preempted from the process, I think, if you do.

10 The best information beyond that would indicate that
11 we need to move the mixing zone back into the broader,
12 shallower channels of Suisun Bay if these organisms are going
13 to be given a reasonable chance of reversing the downward
14 spirals and recovering and thriving, and so one way or
15 another, whether it is 2X or Q Plus or Z Minus, or whatever
16 the terminology, that basic issue needs to be met and
17 addressed if we are going to have any success in this process
18 at all.

19 Inevitably, that will require more outflow and that
20 will impact the remaining water available for use for export
21 projects and use in the Delta and use upstream.

22 What we are basically urging the Board to do is to
23 understand that when the export CVP and State Water Projects
24 were formulated, decisions were made about who was to pay the
25 risk of deficiencies at that time. It took several years and

1 a couple of lawsuits for the courts finally to announce that,
2 yes, the CVP is required to provide salinity repulses to the
3 system and the Racanelli decision makes that very clear at
4 this point. With the State Water Project there wasn't any
5 doubt about it. The legislative history of it with the Delta
6 Protection Act and the things that were going on at that time
7 and the very terms of the contract that the State Project
8 entered into with its customers, make it crystal clear that
9 deficiencies in the project, either from the inability to
10 complete construction of the major features of the project
11 which were originally contemplated, which ran all the way up
12 and down the north coast, and several other facilities in the
13 Valley, and the uncertainty related to what it was really
14 going to take to protect the water quality in the Delta for
15 resident uses, the fisheries, agriculture and so forth. That
16 risk was being allocated to the contract holders and there are
17 provisions in the contract as to what to do about the
18 deficiencies that relate to or appear from the supply that
19 they thought they were going to have originally from the
20 original design of the project with all of its features, plus
21 the assumption that you could adequately protect the Delta by
22 providing a thousand parts per million chloride line somewhere
23 around Jersey Point and Emmanton. Those facts didn't happen.

24 We didn't complete the water conservation features of
25 the project and it turned out, based upon experience, that

1 that level of outflow wasn't adequate to keep these fisheries
2 from declining. But that burden is contractually and legally
3 on the export project. It is not something that should be
4 allocated on some sort of pro rata basis from all water users,
5 and you need to keep that in mind.

6 Otherwise, I suppose we are all going to be making an
7 appointment with Mr. Statham and talk to him about his agenda
8 to solve the problem or something, so there is a major trust
9 issue here that needs to be resolved.

10 MR. DEL PIERO: That joke went over a few people's
11 heads. Stan Statham is purporting to split the State of
12 California into three pieces. Not everybody south of --

13 MS. FORSTER: We Southern Californians never heard
14 it. We don't talk about it.

15 MR. DEL PIERO: You didn't get it, that's right.

16 MR. ZUCKERMAN: Well, he makes considerable hay up
17 here on that particular subject. As I say, I'm not going to
18 harangue you with the details of the statement, but one thing
19 that I think bears repetition here, because some of you
20 probably haven't heard this before, but the burdens upon the
21 Delta, specifically the agricultural Delta, are immense, and
22 even though we don't pay for our water directly in the sense
23 of paying a per acre-foot charge, we do bear the burden of
24 returning the water back to the channels and maintaining the
25 levees, and those are important issues for you to consider

1 because past studies have shown that if the Delta were not
2 farmed, and the seepage that inevitably fills up those Delta
3 islands was not controlled and the ground surface was not kept
4 relatively dry, that the increase in consumptive use in the
5 Delta over what is used to farm would be in the range of two
6 acre-feet per acre. So, we would be using about 40 percent
7 more water in the Delta simply by evaporation if farming did
8 not continue in the Delta or in some other fashion and
9 somebody was paying the expense of maintaining the levees and
10 keeping the water surface below the surface of the land.

11 So, that in and of itself is something that you need
12 to bear in mind. What do we need to do to keep the Delta
13 farms on some basis that continues to maintain the levees
14 which reduces the need for outflow to repulse salinity because
15 those levees do a good job of making the hydrology of the
16 Delta more efficient and align what outflow is occurring to
17 keep the salt out in the San Francisco Bay and to avoid the
18 additional consumption that would be taking place if the Delta
19 became generally flooded.

20 The Delta can't withstand a lot of additional expense
21 because farming is a very thin economically marginal activity.
22 So, you just can't turn around and start imposing a bunch of
23 costs, whether by regulation, direct fees, and expect this
24 contribution to continue for all time.

25 The other things that we have asked you to look at in

1 the past, and I think there's reason to do so as we just can't
2 sit back and allow development to take place all over the
3 State without looking at what our available water resources
4 really are.

5 There is a limit, I mean, I play golf, but to me
6 there is a limit to how many golf courses we need to continue
7 to build out in the desert areas which create per capita
8 consumption rates in the Coachella Valley of over 500 gallons
9 per person per day, and in some cases up to 800 gallons per
10 person per day.

11 We have to start thinking, you know, with the limited
12 resources situation, where those resources are most
13 beneficially applied.

14 And if we take the position, as others have urged you
15 to do, we will have all these people down here and we will
16 have to continue to send them more water and there are going
17 to be more people and we're going to have to keep dividing the
18 water of the State to meet all these things that are
19 inevitably going to happen in the future, and we are going to
20 be in big trouble, because the water supply isn't getting
21 larger. You keep shifting it away from areas where it is
22 being used to support these environmental resources, and the
23 economies of the Sacramento Valley and the Delta and so forth,
24 and where are you going to stop.

25 So, this Board needs to exercise its considerable

1 authority and say, we've got to make some sense out of this.
2 We can't just continue to pay obeisance to the statistics
3 given to you by the Chambers of Commerce and people like them,
4 that we are going to continue to have greater populations
5 here, there, and so forth. Somewhere planning has to take
6 place. It makes more sense to plan for the use of these
7 resources in the areas of origin, and I think that is probably
8 why the Legislature in its wisdom was amenable to passing area
9 of origin laws and the Delta Protection Act. The water is
10 here, we can accommodate agriculture here, you know, and why
11 do we have to try to irrigate the desert and that series of
12 concerns. Those issues are outlined in the statement, as I
13 say, I've tried not to just slavishly read through it for you.
14 I hope that you will consider it, and thank you very much for
15 your patience. If you have any questions, I would happy to
16 try to respond to them.

17 MR. CAFFREY: Thank you very much, Mr. Zuckerman, a
18 very fine presentation.

19 Do the Board members have any questions? Anything
20 from staff at this point? We will certainly read your
21 statement with interest, Mr. Zuckerman. Thank you very much.

22 MR. ZUCKERMAN: Thank you.

23 MR. CAFFREY: Alex Hildebrand and Dave Whitridge.
24 Welcome, gentlemen. Good morning.

25 MR. WHITRIDGE: A lot of what we have to say has been

1 covered before, and I will try to summarize it. Between the
2 two of us, I am sure it will be well under the 20 minutes.

3 I passed out yesterday our comments and today I am
4 handing out a report that was done, a study done by the South
5 Delta Water Agency called the Johnston-Orlob Report. I will
6 get to that in a minute.

7 The South Delta Water Agency recognizes at this point
8 the Board is only considering additional objectives in its
9 water quality control plan, and if new objectives are
10 established, the method of implementing them will be addressed
11 in subsequent proceedings.

12 However, we feel that issue Number 3 which you have
13 noticed, about the implementation by the Central Valley
14 Project and the State Water Project during the interim
15 necessarily raises the question of water rights and the
16 priorities between these projects and other projects.

17 We think it is important and this follows what Tom
18 Zuckerman said in regard to implementation, the Board has to
19 keep in mind recognizing the unique obligation as well as the
20 unique impacts of the State and Federal Projects.

21 These include the legal obligation imposed upon them
22 by the Delta Protection Act, the Watershed Protection
23 Statutes, and the unique impacts of massive Delta diversions
24 and the importation of about a million tons of salt a year by
25 the CVP into the San Joaquin watershed when full contract

1 deliveries are made.

2 These also include the unique salinity control
3 obligations imposed upon the CVP under Federal statutes.

4 Once the Board has insured that the projects are
5 maintaining all these unique obligations and redressing their
6 unique impacts, we have some suggestions as to how the Board
7 should go around looking at other impacts and other parties.
8 And I won't go into all that now. We have a list which has
9 been provided to you. All of this will come up in more detail
10 in the Water Rights phase. But we have laid them out because
11 we think it is important for the Board to get some of the
12 ideas that we have. These are mainly for design to implement
13 the 1991 objectives of the Board that have not yet been
14 enforced for water rights, but they could also be useful for
15 some of the things that are being talked about by EPA and
16 helpful for the whole ecosystem of the Delta.

17 In regard, particularly, to the proposals by the EPA,
18 the one that concerns us the most, as you may know, is the
19 striped bass salinity objective on the San Joaquin River as
20 far upstream as Vernalis, and we agree somewhat with Mr.
21 Robbins' earlier statements. I think that this certainly
22 needs to be looked at as a non-native species, and what we are
23 doing here in terms of an entire ecosystem.

24 In addition to that, I think we agree with the
25 comments the Board staff sent to EPA, that upstream drainage

1 control be undertaken to address the San Joaquin salinity
2 objectives for striped bass.

3 We have also supported a proposal laid out in the
4 Johnston-Orlob report for the control of timing of the entry
5 of this drainage to the river to coincide with the available
6 flows and water quality needs. That's a May 1993 Draft by
7 Bill Johnston and Jerry Orlob, and that's what I passed out
8 today.

9 We think it analyzes very well the possibility for
10 controlling the timing of some of this drainage so it is at
11 non-damaging levels. It is certainly something that should be
12 looked at with the lack of a Valley drain which we think
13 some sort of drainage facility is ultimately needed, but is
14 obviously a long way off.

15 Finally, I would just like to comment for a minute on
16 some of the statements made by Ken Robbins earlier for the
17 Merced Irrigation District. We are very concerned, obviously,
18 with water transfers and we particularly support transfers
19 down the San Joaquin River that would help meet salinity
20 control obligations and benefit prior rights. This is mainly
21 needed during the summer.

22 Now, when Mr. Robbins says the transfers are fish
23 friendly, that may be true, and I think most of these people
24 who are meeting with Merced Irrigation District are concerned
25 about the transfers being fish friendly, but they do tend to

1 reduce the available water in the watershed for other
2 purposes, for meeting prior rights and so on, and we think the
3 Board needs to examine these and make sure they are not only
4 fish friendly, but they are water user friendly. The last
5 particular one that Merced -- we object to the protest and
6 said we would drop the protest if some of the water comes down
7 as transfers in August, which is a time it is most needed for
8 water quality.

9 I think that is one thing the Board needs to keep an
10 eye on to make sure they are benefitting all uses in the
11 Delta.

12 Secondly, in regard to the refill obligations, I
13 think the Board needs to get involved in that, too, because
14 the refill obligation should be coming down, the water that is
15 credited to the project for the refill, the Board should
16 assure that that comes down into the system when it is needed,
17 particularly for water quality because that can relieve some
18 of the burden on New Melones and so on.

19 So, I do think the Board needs to get into the refill
20 obligations and make sure they are being used beneficially.

21 That is all I have unless the Board has any
22 questions. Alex has a few comments.

23 MR. CAFFREY: Thank you, Mr. Whitridge. Maybe we
24 will wait until Mr. Hildebrand is finished and we can ask both
25 questions if we have any. Good morning, Mr. Hildebrand.

1 MR. HILDEBRAND: Good morning, Mr. Chairman. Thank
2 you.

3 First, let me just augment slightly what David just
4 said about Ken Robbins' presentation. We would agree with
5 most of what Mr. Robbins said. The institutional gridlock is
6 real serious and needs to be addressed. However, when he
7 refers to a meeting with 28 people debating these things, I'll
8 bet there was nobody in that room who was worried about
9 maintaining sufficient flow into the Delta from the San
10 Joaquin River during July and August to meet our water rights
11 and to minimize the requirements on New Melones for dilution
12 water.

13 When you release more water for fish in the spring
14 and the fall, you are actually exacerbating the salinity
15 problems because we have more dilution than we need at those
16 times and you are then using up water which would be needed at
17 other times, not only in the summer, but also in March and
18 early April, to reduce the salinity in the river, so these
19 transfers, depending on how they are timed, can be helpful or
20 they can actually be adverse to the salinity problem and can
21 cause an increase in demand from New Melones which is already
22 enormously over-committed.

23 So, I make that caution about fixing this thing
24 without getting those considerations into the mix.

25 However, with that caution, we would agree with the

1 other things that Mr. Robbins has said.

2 Mainly, however, I would like to comment or address
3 some misconceptions regarding irrigated agriculture which
4 appeared to underlie some of the statements that you have been
5 hearing in this workshop and previous workshops. Although not
6 directly stated very often, there seemed to be two underlying
7 assumptions, first, that agriculture will sustain no long-term
8 damage if it is subjected to wide fluctuations in water
9 allocations from year to year in order to provide relatively
10 constant water allocations to industrial and domestic and
11 environmental uses. And second, that as the human population
12 grows, the allocation of water to grow food can appropriately
13 be substantially diminished in order to provide water for
14 other uses without any social impacts, but people do eat.

15 Yesterday the Heritage Institute provided an academic
16 proposal which made several very dubious assumptions and
17 omissions. The proposal looked only at the farm gate receipts
18 without regard to such things as differences in growing
19 different crops and need for market continuity. It also
20 disregarded the impossibility of maintaining the agricultural
21 infrastructure and paying for high-cost equipment if crops are
22 suspended during numerous years, and I understand you heard
23 also about how people can go bankrupt trying to pay their
24 fixed costs in those situations.

25 For example, as pointed out by Mr. Conover, alfalfa,

1 which is one of the crops they would like to do away with, is
2 a low-risk crop which must be available on a steady basis to
3 sustain the dairy industry.

4 Another one of their pet peeves is irrigated pasture,
5 but irrigated pasture is a necessary adjunct to some dairies
6 and also to provide dry season forage for cow-calf operations
7 to operate the rest of the year on rangeland that requires no
8 developed water supply.

9 Still, other consequences of intermittent fallowing
10 have been disregarded, but I won't go through the whole litany
11 of them for you.

12 Then both the Heritage Foundation and Bulletin 160
13 assume that we need not grow more food in order to feed the 20
14 million more people that are forecasted for California over
15 the next 30 years. The Bulletin 160 scenario would result in
16 less than half as much water per capita to grow food at that
17 time where we would have that two-thirds increase in food
18 consumption in the State.

19 Confusion is also caused by statements such as
20 agriculture has increased production by 50 percent over 20
21 years without increasing its share of water allocation. This
22 confuses delivered water with consumed water. In the Central
23 Valley, it is only the consumed water that affects the total
24 water supply. Almost all the rest is reused either from
25 ground water or from return flows to the stream system, some

1 of it by surface return, some by subsurface return.

2 So, progress has been made and will continue to be
3 made in increasing proportion to the biomass that is
4 produced which is edible, and thereby increasing the food
5 supply that can be grown from an acre-foot of water.

6 However, those are rather modest increases, and there
7 is just no way that they can be sufficient to compensate for
8 a 50-percent reduction in the per-capita allocation of water
9 to grow food.

10 The Board should not accept the motion that
11 agriculture can recover from repeated substantial
12 interruptions in its water supply even for crops that are
13 scorned by academia. It should also not accept the notion
14 that substantial reductions in the per-capita allocations of
15 water to grow food will involve no risks for California's
16 growing population.

17 I leave those thoughts with you. Thank you.

18 MR. CAFFREY: Thank you very much, Mr. Hildebrand.
19 Are there questions from Board members? Anything from staff?
20 Thank you, gentlemen, very much.

21 Andrew Hitchings, good morning, sir.

22 MR. HITCHINGS: Good morning, Mr. Chairman and Board
23 members. My name is Andrew Hitchings with the law firm of
24 DeCuir and Somach and I'm submitting these comments on behalf
25 of the Glenn-Colusa Irrigation District. Sandra Dunn was here

1 yesterday, but we didn't get to her, so I am filling in for
2 her.

3 MR. CAFFREY: It was a long day. Both she and Mr.
4 Nomellini took off on vacation.

5 MR. HITCHINGS: She wishes she did.

6 As you may note, GCID first acquired water rights on
7 the Sacramento River in 1883. GCID currently serves 140,000
8 acres of farmland and 25,000 acres of wildlife refuge with
9 water diverted from the Sacramento River.

10 GCID provides water for 1200 families in both Glenn
11 and Colusa Counties. The estimated crop value produced with
12 this water is approximately 100 million dollars.

13 Clearly, GCID has a vital interest in the outcome of
14 this Bay-Delta process and, therefore, GCID offers the
15 following comments to the key issues raised in the State
16 Board's Notice of Public Workshop.

17 With regard to key issue 1 pertaining to the State
18 Board's evaluation of the alternative Fish and Wildlife
19 standards, GCID is not here to present to the State Board any
20 specific alternatives for review.

21 However, GCID has studied the various proposals put
22 forward during this proceeding. GCID will continue to
23 evaluate these proposals and will provide the State Board with
24 its specific comments as appropriate.

25 In the meantime, GCID urges the State Board to

1 consider standards that are based upon an ecosystem and multi-
2 species habitat approach. It is critical that the State Board
3 recognize that the Bay-Delta is only one part of a much larger
4 ecosystem.

5 Moreover, the State Board must avoid actions that
6 could adversely affect beneficial uses of water upstream on
7 the Sacramento River. These upstream uses include Fish and
8 Wildlife and recreational uses as well as agricultural and
9 municipal and other consumptive uses.

10 The State is likely to obtain the result it seeks to
11 achieve only through a comprehensive, broad-based approach to
12 the problem facing the Bay-Delta.

13 GCID urges the State Board to avoid establishing
14 standards that are based on recreating some loosely-defined
15 historical condition. The Bay-Delta system as a whole no
16 longer operates as it did historically. Hydrodynamics of the
17 Delta have been modified, the community of the species has
18 changed and the Delta is home to a much larger urban
19 population. Thus, it is unrealistic to believe that we can
20 restore the Delta to a presumed historic state. Instead, the
21 standards considered by the State Board should be based upon
22 the current physical setting, not some hypothetical past
23 condition.

24 In addition, the State Board must evaluate and
25 address numerous factors other than Delta outflow that affect

1 the health of the Bay-Delta estuary.

2 Water Code Section 13241(c) mandates that the State
3 Board consider water quality conditions that can be reasonably
4 achieved through coordination of all factors affecting water
5 quality in the Bay-Delta. These factors have been well
6 identified through the testimony presented at previous
7 workshops and this workshop.

8 The State Board does not have jurisdiction to
9 regulate all of these factors. However, under Water Code
10 Section 13140 and sections following, it does have the
11 authority to adopt State policy for water quality control
12 which must be complied with by other State agencies and
13 departments that do have the necessary authority to regulate.

14 Finally, and perhaps most importantly, the State
15 Board must consider and adopt standards which can achieve a
16 reasonable balance between all competing uses of water.

17 With regard to key issue 2 pertaining to the
18 evaluation of the economic and social effects of alternative
19 standards, the State Board must realize that to date little,
20 if any, analysis has been conducted on the social-economic
21 impacts of any proposed standards on the Sacramento Valley and
22 its dependent communities.

23 Most of these evaluations have been associated with
24 impacts caused by exports south of the Delta.

25 GCID is presently investigating the nature and the

1 extent of the economic analyses which could evaluate how the
2 implementation of various alternatives would impact the
3 Sacramento Valley and its residents.

4 However, it is unclear what forum will be made
5 available by the State Board for the interested parties to
6 provide the economic analyses results that are developed. If
7 the State Board is considering involving the interested
8 parties in some kind of technical workshop, GCID would like
9 the opportunity to participate in that process.

10 In the Notice for this workshop, the State Board
11 requests recommendations from participants on methods to be
12 used to analyze the economic and social effects of the
13 proposed alternatives. In particular, the State Board seeks
14 recommendations on the appropriate method to estimate the
15 extent of the water transfers likely to occur after reductions
16 in Delta Water deliveries.

17 Key to the development of this information is,
18 however, an agreement on the basis from which the analysis is
19 to begin. GCID firmly believes that the baseline must begin
20 with a clear recognition of water right priorities and area of
21 origin principles.

22 If water right priorities and area of origin
23 protections are not confirmed as part of that baseline, there
24 is little likelihood that any water transfers will occur.
25 Water transfers can only be accomplished if there is

1 certainty. That certainty can only be provided to the
2 preservation of existing water rights priorities and area of
3 origin protections.

4 With regard to key issue number 3 pertaining to
5 whether the State Board should request the Central Valley
6 Project and State Water Project to implement portions of the
7 Draft standards prior to adoption of a water rights decision,
8 GCID is concerned with the possible precedent that could be
9 established by requesting the CVP and the SWP to meet water
10 quality standards prior to holding a water rights hearing for
11 decision.

12 The law is clear that the State Board should not
13 implement standards which allocate flow without first
14 complying with the due process protections provided through a
15 water rights proceeding. However, based upon the provision in
16 the framework agreement between the State and Club Fed which
17 provides that an agreement will be sought between the Central
18 Valley Project and the State Water Project and that they will
19 operate to meet proposed standards by 1995, GCID believes that
20 it is proper in this limited situation to request such an
21 agreement be pursued.

22 It is important, however, that any agreement reached
23 between Club Fed and DWR maximize the use of the 800,000 acre-
24 feet dedicated by the CVPIA in order to minimize any
25 additional adverse impacts to Central Valley Project

1 contractors.

2 That concludes our submittal.

3 MR. CAFFREY: Thank you very much. Are there any
4 questions by Board members?

5 MR. PETTIT: Just a comment with regard to your
6 question on page 3 about the economic impacts, etc., the Board
7 doesn't have any Board-sponsored work group or further
8 discussions scheduled for that particular purpose, but if you
9 were here yesterday, I think you probably heard a number of
10 the parties have been meeting to discuss the economic analysis
11 and if Glenn-Colusa isn't tuned into those discussions, and
12 would like to be, if you will contact either Mr. Howard or Mr.
13 Griffin on our staff, they can make sure that you are made
14 aware of any of those future meetings that occur.

15 MR. HITCHINGS: Okay, thank you.

16 MS. FORSTER: That was my issue exactly, just what
17 Mr. Pettit said.

18 MR. CAFFREY: Anything else from Board members?
19 Anything from staff? Thank you very much. We appreciate your
20 being here.

21 I have a card from B. J. Miller, but I believe he is
22 not here, and he did leave a note yesterday that he would
23 probably not be able to be here. His note indicated that he
24 was representing the San Luis Delta-Mendota Water Authority,
25 also Westside Water Users Association, Santa Clara and San

1 Benito Counties, and he had hoped to speak in support of
2 ACWA's presentation yesterday on their comprehensive plan, and
3 the note also indicated that he supports an additional
4 workshop with that concept.

5 I do not see Tom Berliner in the audience. Is there
6 someone here for Mr. Berliner? He was here all day yesterday.
7 I will put his card to the back and call him again later this
8 morning. Gary Bobker -- I think Mr. Bobker has arrived,
9 representing the Bay Institute of San Francisco. Good
10 morning, sir.

11 MR. BOBKER: Good morning.

12 MR. CAFFREY: You were here all day yesterday, too.
13 We appreciate your presence.

14 MR. BOBKER: No problem. I am Gary Bobker, and I am
15 the Policy Analyst at the Bay Institute of San Francisco, and
16 I would like to reiterate and expand on some of the comments
17 I made in the first workshop.

18 I figured since I have been silent in the last few
19 workshops, I have got to get my licks in before the workshop
20 process ends.

21 I trust I can talk about the relationship of this
22 process to EPA's current Bay-Delta rule making and then touch
23 briefly on some of the issues that were not addressed by EPA
24 which are germane to the issue that was raised in the workshop
25 Notice as to alternative standards that are necessary to

1 protect the estuary.

2 First of all, we believe and we have stated in the
3 past that in general, EPA's standards incorporated the best
4 available science and offer at present the best available
5 regulatory scheme on which to base increased protections for
6 the estuary. The Federal rule making reflects both the
7 extensive technical evidence that was compiled by the State
8 and Federal Resource Agencies Estuary Project, the Board in
9 its many Bay-Delta proceedings and other entities, and it
10 really has been an open process in which the input of all
11 stake-holders has been sought.

12 In summary, the standards' packet that EPA has
13 proposed offers the most comprehensive water quality
14 protection approach now available.

15 We urge the Board not to reduplicate the Federal
16 process, but to accept the EPA rule making activities and turn
17 its attention to timely and equitable implementation of the
18 standards. I am going to reserve detailed comments on what
19 the implementation measure should be until the initiation of
20 the water rights proceedings, because I think, although
21 implementation of water rights concerns are obviously of
22 enormous importance, they are more properly dealt with in
23 those proceedings, and that has been a problem all along, that
24 we tend to mix implementation of water rights in the standard-
25 setting process and get away from the goal that we are trying

1 to achieve in setting standards.

2 I would also like to comment on the process between
3 stake-holders that was mentioned at several points yesterday.
4 We believe that there exists a growing level of agreement
5 among interested parties concerning the proposed standards
6 from EPA and we have been a party to those discussions and
7 continue to work with other stake-holders to narrow the areas
8 of disagreement and we hope to soon be able to make material
9 available to you and interested parties that was generated
10 from those discussions.

11 Despite that effort, I also, at this point, want to
12 emphasize we have not found most of the EPA standards to be
13 valid. We believe that the biological justification for those
14 standards continues to be very strong, particularly the
15 criterion and the other components of the estuarine habitat
16 standard, and we will be providing newer technical analysis of
17 the flaws and some of the criticisms made of the estuarine
18 habitat standard in the near future to the EPA and to the
19 Board and others.

20 I would also like to comment on some of the remarks
21 that were made yesterday by the Department of Water Resources
22 during their presentation. DWR seems to continue to suffer
23 some confusion over issues that are related to flow and
24 salinity. First of all, the Department continues to
25 misinterpret the Federal Clean Water Act by drawing an

1 artificial distinction between water quantity and water
2 quality, a view that is not shared by the U. S. Supreme Court,
3 as expressed in its recent decision in Washington Department
4 of Ecology versus Jefferson Public Utility District.

5 On the other hand, the Department fails to recognize
6 distinctions when they do occur, specifically, by confusing
7 issues of outflow, salinity and the X2 standard and what it is
8 designed to achieve.

9 The need to provide increased outflow to meet the
10 transport requirements of fish, eggs, and larvae where flow is
11 the water quality parameter that we are trying to regulate,
12 shouldn't be confused with the need to maintain adequate
13 shallow low salinity habitat in Suisun and San Pablo Bays for
14 estuarine dependent species where salinity is the water
15 quality parameter for regulation; nor should it be confused
16 with the use of salinity as it correlates species abundance
17 or co-variant to significant causal factors.

18 I would also like to just make a brief comment on
19 DRW's remarks on the use of X3 which they propose as an
20 alternative to X2, which kind of baffles me a little bit.
21 Obviously, X3 is close to X2 and it is not surprising that the
22 two values have a tight linear relation and perhaps it would
23 be justified to use either X2 or X3 as an independent variable
24 in the regression against species abundance. But, even if you
25 assume that X3 is as well related to variables as X2, X3 would

1 still have a different intercept. In other words, mean X3
2 would still be further downstream than mean X2 and provide the
3 same level of protection and would probably have to have the
4 same level of water supply impact.

5 Be that as it may, I am not passing it around, it's
6 beyond my technical expertise.

7 Returning to the main topic of alternative standards,
8 as I have stated in the past, we believe that the Board
9 shouldn't reinvent the EPA wheel, but there are clearly a
10 number of water quality requirements for fish and wildlife
11 that aren't addressed in the Federal rule making, particularly
12 the need to protect critical habitat areas in addition to the
13 Delta and Suisun Bay and the requirements of fisheries that
14 occur outside the peak spring spawning immigration period.

15 In the past, we have urged both EPA and the Board
16 over the course of many years to address these issues and
17 alternative standards. The need for such measures has not
18 lessened over time, obviously.

19 I will just very briefly discuss what I think some of
20 those additional fish and wildlife requirements are.

21 Although the fish and wildlife uses of San Pablo Bay
22 and the brackish tidal marshes of Suisun Bay will, I think,
23 receive important incidental benefits from EPA's standards,
24 discreet separate measures that are designed primarily for
25 those areas should be adopted for the San Pablo to provide

1 extensive areas of low salinity and shallow environment which
2 constitute critical habitats for estuarine dependent species
3 and those benefits need to be captured in Federal and State
4 rule making activities.

5 The Suisun marshes provide nursery habitat for
6 aquatic species, wildlife habitat for a number of endangered
7 plant and animal species that are unique to the brackish water
8 ecosystem, and they are also a significant source of organic
9 carbon.

10 Increased salinities threaten the viability of
11 brackish marshes, and just as we consider assuring salinities
12 to protect aquatic habitat in Suisun Bay's open water, we
13 need companion measures to assure low salinities during the
14 growing season in the marshes.

15 We and other environmental organizations have made
16 recommendations to EPA on how best to increase water quality
17 protection for those habitats, and our material has been
18 provided to the Board during the past workshops.

19 I also mentioned that while EPA's standards focused
20 on the critical late winter through spring spawning migration
21 period, protections are needed for species with habitat
22 transport requirements during the rest of the year. That was
23 a big concern about the D-1630 hearings. We raised concerns
24 over the vulnerability of the fish species during the fall and
25 winter period if the intent was an increased export later in

1 the year.

2 I was particularly glad to hear the National Heritage
3 Institute yesterday, to hear the presentation of the National
4 Heritage Institute yesterday with recommendations to protect
5 one of the primary species at risk, the spring run salmon,
6 which is uncontrovertibly faced with the prospect of
7 extinction; but we generally support the NHI recommendation
8 for protections in the period from November to January.

9 Another important opportunity, also related to salmon
10 protection, is for the Board to adopt requirements that govern
11 the physical water quality characteristics, temperature, flow,
12 export operations, etc., that affect fall-run chinook
13 survival, and I imagine those protections will be along the
14 lines recommended in the earlier proceedings, D-1630 by the
15 U. S. Fish and Wildlife Service.

16 The proposed salmon smolt survival indices that EPA
17 formulated would then serve as a very good measure of the
18 success of physical water quality requirements for salmon, and
19 function much the same way as the striped bass index was
20 intended to before the striped bass standards in D-1485,
21 hopefully with a much better feed-back mechanism.

22 One more comment: Most proposals to protect salmon
23 that are concerned with dairies downstream of the tributaries
24 see the Delta as enemy territory and consequently focus on
25 moving salmon outmigrants quickly through the system. That

1 reflects an unfortunate fact, and that is, the interior Delta
2 is a dangerous place for salmon, but it is also a fact that
3 the Delta has been an important rearing habitat for salmon
4 races and just as we are hopefully poised to begin restoring
5 habitat for estuarine-dependent species through estuarine
6 habitat standards and other measures, we also need to begin
7 the process of reclaiming the estuary as friendly territory
8 for salmon and other anadromous fish species, and that
9 concludes the remarks I would like to make at this time.
10 Thank you.

11 MR. CAFFREY: Thank you very much, Mr. Bobker. Are
12 there questions from Board members? Ms. Forster.

13 MS. FORSTER: In the beginning of your comments, you
14 talked about meeting with a coalition of people and a growing
15 level of agreement. How close do you think your final product
16 will be, and I will tell you why I raise this, is because you
17 know we have the request for this additional workshop, but it
18 is a concern by our staff that has to prepare the information,
19 that they were expecting to start as early as next week, and
20 I think that workshop in August wouldn't impair them from
21 beginning, but the quicker you all know that they are going to
22 need time to do runs with DWR to look at alternatives. I
23 worried about meeting our deadline that everybody is holding
24 great faith in, of December 15, if your processes don't
25 finalize.

1 MR. BOBKER: Well, I don't suggest that our processes
2 are a substitute for your process, and I think that you need
3 to continue to speed toward the goals that you set for
4 yourself, which, you know, hopefully will result in some
5 positive results at the end of the year or for next year. And
6 I don't see major changes coming from the State whole process,
7 but that's my interpretation. I really can't characterize
8 without the other parties on what will or could come out of
9 that.

10 We haven't joined in the call for an additional
11 workshop for the precise reasons that you have raised. The
12 record, as I understand, will be open and there's an
13 opportunity to submit additional material, and I think that if
14 you leave it at that, you give all of us an impetus to provide
15 that material.

16 MS. FORSTER: Our chairman just said to me we are not
17 going to miss our deadline.

18 MR. CAFFREY: I wanted to make sure that Ms.
19 Forster's comment was understood. We are all worried about
20 the importance of getting your input, but we made a commitment
21 about the timing, and that timing is very critical, and we are
22 going to produce.

23 MR. DEL PIERO: He is going to make us work on
24 Thanksgiving.

25 MR. CAFFREY: That's right. I had a question, Mr.

1 Bobker.

2 MR. BOBKER: Let me just add one thing. In the calls
3 that I heard yesterday for an additional workshop, there were
4 a number of reasons for it. One of the reasons I heard from
5 both urban and agricultural water users was they wanted time
6 to present more comprehensive recommendations. That's one
7 part of the reason. Another would be to make available some
8 of the results of our discussions. We are working on
9 preparing summaries of the meetings that we have had and those
10 will probably be available very soon, so I don't see that
11 process we have been in holding up or calling for an
12 additional workshop that far in the future. You will have
13 that material before long.

14 MR. CAFFREY: I was going to ask you, I don't even
15 know if I can frame it in a discernible way, but you know, we
16 seem to be getting kind of an undercurrent in our proceedings,
17 and maybe this is just my inference, but that perhaps it might
18 be necessary to rethink the role of the striped bass in the
19 Bay and in the Delta and how they relate to the critical
20 anadromous species such as the salmon that are protected by
21 the Endangered Species Act.

22 I'm not sure, I mean I understand that the striped
23 bass is a predator, but I am wondering if you have any
24 comments on that relationship and whether or not the Board
25 ought to be reviewing the relationship between striped bass

1 and other species.

2 MR. BOBKER: Well, I think there are valid concerns
3 about the effect of striped bass on endangered species
4 populations. When the population is at extremely low levels,
5 and it's highly vulnerable, obviously, you have to be very
6 concerned about whatever the inputs are that are going to
7 possibly cause it to go extinct. If striped bass predation is
8 a problem, it needs to be dealt with.

9 However, at this point, I think probably the most
10 appropriate way to deal with striped bass, the problems that
11 striped bass cause for endangered species, is through the
12 Endangered Species Act process. I think that striped bass in
13 general since the time of their initial introduction probably
14 caused major problems in the estuary, but subsequently seem to
15 exist in a state of coexistence with most of the species in
16 the estuary. I don't think striped bass has during the 20th
17 century been a major cause of species extirpation. I think
18 striped bass is an important resource in the estuary and also
19 protections for all species is going to benefit striped bass,
20 so it is not really like you can separate striped bass out.

21 I think we should continue with measures that both
22 incidentally and specifically protect striped bass, but we
23 need to look at the time of those protections, and I think
24 that's probably more appropriate to occur through the
25 consultation process than through the Board's taking any

1 action on striped bass.

2 Also, we note that the same source of measures that
3 would protect striped bass will protect salmon and vice versa.
4 In D-1630, the Board concluded that salmon measures would
5 protect striped bass. Do we not protect salmon because we
6 might also, at the same time, protect striped bass? I think
7 that if you undertake measures that are based on a species,
8 you are going to increase the abundance of the species at
9 risk, as well as the striped bass.

10 MR. CAFFREY: Any other questions of Mr. Bobker?
11 Anything from staff? Thank you very much for being here.

12 Mr. Berliner, I see you have arrived this morning.
13 I know you waited a long time yesterday, as did some of the
14 other speakers, and we appreciate that. Glad to see you made
15 it back.

16 MR. BERLINER: We didn't want to miss the exciting
17 testimony. There are two sets there.

18 MR. CAFFREY: While we are passing these out, I
19 needed to ask you, Ms. Leidigh, about the 20 copy concept.
20 Apparently, we did have some questions on that yesterday and
21 you might share your answer with the audience.

22 MS. LEIDIGH: Yes, I was asked by one of the parties
23 how they were supposed to provide copies to the other parties
24 of these copies that come in later. It is easy enough to
25 provide 20 copies to the Board for the Board's use, but there

1 was some concern that everybody would have their own idea of
2 who the other active participants were.

3 I want to just inform people that we do have a
4 mailing list of active participants and that can be obtained
5 from Tom Howard. All you have to do is give him a call and he
6 can give you a copy of it.

7 MR. CAFFREY: Thank you very much. The good news is
8 that we have the list available. The bad news is there are a
9 lot of parties listed. There are about 150 listed on the
10 shortest list we have. All right, thank you. Mr. Berliner,
11 please.

12 MR. BERLINER: I am Tom Berliner, representing the
13 San Francisco Public Utilities Commission and, also this
14 morning, speaking on behalf of San Francisco and the East Bay
15 Municipal Utility District concerning issue number 3.

16 I'm going to primarily focus on number 2 this
17 morning. Regarding the first issue, San Francisco endorses
18 the proposal by the California Urban Water Agencies and so I
19 don't think there's any more I can say on that question, even
20 though I do want to address the striped bass that was
21 discussed a few minutes ago.

22 In addition, we support another workshop. We think
23 it would be valuable to have the additional work before the
24 Board. As Mr. Bobker said, we are working, we are in the
25 process of developing some summaries of the meetings that were

1 held, and work is continuing. There are different views on
2 the work CUWA has done on an alternative standard. We are
3 still discussing questions relating to the proposal of a
4 numeric standard versus a narrative standard. There are
5 questions on the biology and we think it would be useful to
6 provide another opportunity, and I also agree with Mr.
7 Bobker's characterization that ought not to slow down your
8 work.

9 On the question of issue number 2, the economic and
10 social impacts, our recommendation is that the Board invite or
11 convene a group of economists to focus on these questions. We
12 have been working with the Environmental Protection Agency
13 through their regulatory impact analysis process and there are
14 some very real difficult problems out there that the
15 economists have to deal with.

16 I was encouraged by the testimony yesterday that
17 seemed to track pretty well the way that San Francisco was
18 looking at the economic issues and I will provide you with a
19 couple of comments in a minute about the economic costs that
20 we have been analyzing, but I think it would be valuable
21 particularly concerning the issue of what the base case ought
22 to be and the assumptions regarding water transfers and
23 availability of alternative sources of water.

24 There are some different views on this and it would
25 be valuable to have that debate among economists, particularly

1 if it is coordinated with the EPA. Again, I don't think
2 that's going to slow down the efforts, because the meetings
3 with EPA have been ongoing for several months. I think it is
4 more a question of including the additional economists from
5 the Board and any other interested parties that might
6 participate, but there has been a pretty robust discussion so
7 far and I think it would benefit from the Board's input as
8 well, so I think it could be well coordinated.

9 I did want to emphasize the importance of the
10 economic question because the impact from a water shortage is
11 significant. We are just in the process of completing a
12 commercial and industrial study for the San Francisco service
13 area which, as you know, is about 2.3 million people in parts
14 of Alameda and Santa Clara Counties as well as the entire San
15 Mateo and San Francisco Counties. We haven't finished the
16 residential impact study. The California Urban Water Agency
17 has been working on that and we are basically part of that
18 effort on the residential side, but we did do the commercial
19 and industrial study for our own service area.

20 And while the study is not yet available for public
21 review, it will be shortly. We are just in the process of
22 finishing the task. We do have some numbers though, and I
23 thought you might find those interesting.

24 We analyzed the impact from two perspectives, a
25 welfare loss and a production loss perspective, and we assumed

1 shortages of 15 and 30 percent, and we did that because we
2 didn't have any other basis for assigning shortages.

3 So, we felt that those would represent at least
4 orders of magnitude that could be analyzed further depending
5 on what shortage may result either from this or other
6 regulatory proceedings, and I should comment that San
7 Francisco is already in a situation of shortage.

8 Our demand exceeds our supply by about 10 percent.
9 A production loss scenario basically reflects how current
10 water agencies are handling their shortages, which is really
11 by requiring an across-the-board reduction in use. That is as
12 opposed to a welfare loss which basically says that the higher
13 value uses would be willing to pay more for water and that
14 they would avoid the degree of economic impacts by simply
15 buying their way out of the drought.

16 As far as we know, the California Urban Water
17 Agencies have not allowed that process to take place. They
18 basically distribute water on a shortage basis throughout
19 their customer base and have allowed people to react on that
20 basis rather than saying this industry will get X amount and
21 this resident will get something less than their full
22 entitlement.

23 There are exceptions to that rule and we have some
24 exceptions in our own service area as well, both on the
25 commercial and industrial side and the residential side.

1 In terms of production loss, we see the most
2 significant numbers in that arena at the 15 percent level.
3 Our study has estimated losses per year of 583 million dollars
4 in basically a reduction in gross domestic product similar to
5 a GNP concept for the service area.

6 At 30 percent the number just becomes unbelievable at
7 about 4.9 billion dollars per year of economic loss. And the
8 reason for that is that once you cross certain thresholds,
9 there's basically no recovery. It's a downward spiral at that
10 point.

11 MR. BROWN: Tom, I didn't quite understand. Would
12 you please repeat that figure?

13 MR. BERLINER: On the production loss side, everybody
14 has to bear the shortages. So, at an across-the-board
15 reduction of either 15 or 30 percent, looking only at the
16 commercial and industrial sector, assuming that they would
17 have a 15 percent loss in the available water supply over the
18 historical level, and this is on average, the loss would be
19 518 million dollars per year in lost productivity. And then
20 under a 30 percent scenario, it balloons to 4.9 billion
21 dollars and this is an area of about a 60 billion dollar
22 economy.

23 The bulk of these losses are in the industries that
24 you would expect, the high tech arenas, and tourism suffers
25 somewhat heavily as well because the hotels take a big loss,

1 but it is basically the high tech industries that are the most
2 water dependent.

3 Looking at it on the welfare loss side, which is
4 basically an economic efficiency side, the losses are
5 substantially less. I have heard these numbers in front of
6 you, but I have to say that they are not sure that they are
7 achievable, at least under the way the drought and shortages
8 are handled. But looking at the welfare loss methodology, at
9 a 15 percent level we are talking about 35 million dollars a
10 year, and under a 30 percent shortage, we are talking about
11 218 million dollars a year. Of course, these are not exact
12 numbers. They are estimates.

13 So, I think the numbers are significant, and the
14 point of the testimony is that the economic impact is
15 important and we need to get a good understanding of it and
16 this is just one agency's work and it needs to be coordinated
17 with lots of other agencies.

18 But I will say that in reviewing the approaches that
19 have been taken, everybody has taken the same approach. There
20 was no difference of opinion and these were people that were
21 working independently of one another. We didn't confer with
22 anybody else when we started our studies, and we are now in
23 the end game as far as the studies are concerned, and we have
24 seen everybody has taken the same approach.

25 So, I think the approaches are valid and raises a lot

1 of issues about how water is managed and how we distribute
2 shortages.

3 MR. CAFFREY: Mr. Stubchaer has a question.

4 MR. STUBCHAER: You mentioned that you are already 10
5 percent short in San Francisco.

6 MR. BERLINER: Our service area is.

7 MR. STUBCHAER: That's the whole service area. Does
8 that mean that 15 percent is above that 10 percent, or is
9 inclusive of that 10 percent?

10 MR. BERLINER: It is inclusive of the 10 percent.

11 MR. STUBCHAER: It means you are already obtaining
12 perhaps 400 million dollars or so of this economic impact?

13 MR. BERLINER: We have not done a real fine
14 measurement of the impact of the shortage, so we don't know
15 that answer at this point. But I think it is one of the
16 issues that the economists are going to need to address, which
17 is, is there a current economic loss, and one would assume
18 that there is.

19 We have heard from several of our customers in the
20 high tech area that are very concerned about the availability
21 of their water supply and there have not been certain plant
22 expansions because of the unreliability of water.

23 MR. DEL PIERO: Are not those the ones down the
24 Peninsula?

25 MR. BERLINER: Yes.

1 MR. DEL PIERO: They are not within the City and
2 County of San Francisco?

3 MR. BERLINER: No, in our service area we serve
4 municipal water supply, we serve to all of the counties I
5 mentioned earlier, and we wholesale to customers down the
6 Peninsula who, in turn, retail to several --

7 MR. DEL PIERO: Just for the edification of the
8 Board, how much of the water that you serve out of the City
9 and County, what is the percentage of the water that you serve
10 that goes to areas outside the City and County of San
11 Francisco?

12 MR. BERLINER: About two-thirds.

13 MR. DEL PIERO: Two-thirds?

14 MR. BERLINER: Yes.

15 MR. DEL PIERO: So, that 10 percentage shortage, if
16 it were taken, would not be taken by the City and County of
17 San Francisco, it would be taken in the area where you provide
18 contract water?

19 MR. BERLINER: It would be taken by the entire
20 service area.

21 MR. DEL PIERO: Including the City and County of San
22 Francisco?

23 MR. BERLINER: Yes.

24 MR. DEL PIERO: Is that pursuant to an ordinance?

25 MR. BERLINER: It is pursuant to our legal

1 relationship to our customers down the Peninsula.

2 MR. DEL PIERO: A contractual relationship?

3 MR. BERLINER: And Federal statutory as well as Court
4 decisions interpreting that. So, we are as anxious to
5 drought-proof the City as anybody.

6 On the third issue, which is a question of the CVP
7 and State Water Project potential assumption of part of the
8 standard. We didn't really want to testify on that today. We
9 had some testimony prepared which has been submitted. San
10 Francisco and East Bay Municipal Utility District joined
11 together and brought in some meetings with the other urban
12 agencies. We think we've agreed on a response to that
13 question which we would like to get before you before the
14 August workshop, and we will submit it in writing if there is
15 not a workshop.

16 But basically, we are concerned about creations of
17 de facto caps and preemption of the process. We think we
18 have some good perspective on how the issues can be addressed
19 and we would like an opportunity to bring that to you at a
20 later date.

21 Before concluding, I did want to address the striped
22 bass question since it came up. And I thought the question
23 asked of Mr. Bobker was perhaps worthy of another point of
24 view.

25 The California Urban Water Agency, as well as San

1 Francisco on its own behalf, has suggested that the striped
2 bass standards be dropped, and frankly, our view is there are
3 two very good reasons for it. One is, it is an indicator
4 specie and as the rest of the system recovers, so, too, should
5 striped bass.

6 We submitted some testimony that was prepared by Dr.
7 Moyle that provides a number of reasons why striped bass ought
8 not to be protected specifically at this time, probably one of
9 the most compelling being it is not a threatened species of
10 any sort. But the other issue is really one that it's an
11 indicator specie and if it is an indicator specie, it will
12 recover along with the rest of the ecosystem, and if not an
13 indicator specie, then maybe we ought to be really
14 questioning, do we want to do anything about that fish,
15 because it is not threatened, it is a predator, it is an
16 introduced specie. In any case, Dr. Moyle's comments have
17 been submitted for the record.

18 The other issue is that it is really a salinity
19 problem, and if the Board should choose to address striped
20 bass, it really ought to do so on the non-point source and the
21 point source discharge side rather than through increased
22 reservoir releases from the San Joaquin reservoirs.

23 So, I think there's a couple of reasons to relook at
24 the striped bass question.

25 That's it.

1 MR. CAFFREY: Thank you, Mr. Berliner. Are there any
2 questions from the Board? Mr. Pettit has a question.

3 MR. PETTIT: Could we get back to the current supply
4 question for just a moment? Is the 10 percent shortage a
5 current average shortage, or is it this year's shortage? How
6 is that number derived?

7 MR. BERLINER: It is a shortage based upon a normal
8 year's use. A normal demand in the service area is about 273
9 million gallons a day. And our firm yield is about 242,000.

10 MR. PETTIT: Thank you.

11 MR. CAFFREY: Questions by others? Mr. Griffin.

12 MR. GRIFFIN: How many instances do you have of
13 businesses curtailing production as a result of this 10
14 percent shortage?

15 MR. BERLINER: We have been told by at least one high
16 tech manufacturing company that they aren't expanding their
17 plants in our area because of the water reliability problem.
18 There was also a comment from the same company, a lineal
19 technology, that had they known about the problems and how
20 severe they were at the time that they did some plant work,
21 that they wouldn't have done it.

22 We also had an inquiry from Pepsi about the location
23 of a plant, whether we could assure them of a water supply.
24 They needed about 2 million gallons a day and we told them no.
25 The questions are coming up. I don't know the frequency of

1 them, but we know that we have heard from some companies where
2 water consumption is a major portion of their concerns, and
3 they are very concerned.

4 I think you probably also have seen the letter from
5 several Northern California business leaders expressing
6 concern over developing standards for the Delta. So, the
7 business community is becoming much more aware of the need to
8 establish standards, and as far as we know, there are a lot of
9 concerns about reliability of water supply.

10 I know a plant located down at Fremont has become
11 very concerned about their supplies and has raised questions
12 with us. But I am not aware that they have done anything to
13 cut back.

14 The other thing I would add is that a lot of high
15 tech companies are spending millions of dollars and tens of
16 thousands of dollars per acre-foot to ensure their water
17 supply as well as to ensure the quality of the supply which,
18 for their high tech processes is crucial. And one of the
19 reasons that they are located where they are is because of
20 water supply issues.

21 MR. GRIFFIN: I would certainly be interested in
22 seeing the study when it is ready.

23 MR. BERLINER: We will supply it.

24 MR. BROWN: A few years ago you were successful in
25 Placer County Water Agency transferring quite a bit of water

1 to the Delta, pioneering in that work, and I know you have
2 been negotiating or discussing with other agencies on the East
3 Side for possible transfers into the Hetch Hetchy system. Do
4 those look like they will have some success?

5 MR. BERLINER: Those discussions are in their very
6 early stages, and I think it is way too early to tell. They
7 are really just at their inception. We have had to start over
8 a couple of times due to changes in personnel and whatever,
9 but we are definitely pursuing the voluntary water transfers
10 looking at the East Side and looking at ways to avoid having
11 to bring it through the Delta.

12 MR. BROWN: Thank you.

13 MR. CAFFREY: Ms. Forster.

14 MS. FORSTER: Tom, have you been going to any of
15 these meetings where the economists are talking about the
16 economic impacts of the Federal standards?

17 MR. BERLINER: I went to the first two or three of
18 those meetings. After the IRA came out, we were very
19 concerned about the way they were handling the issue of costs
20 related to water transfers and costs related to Reclamation.
21 I haven't gone to the most recent, but our economists have.

22 MS. FORSTER: Are the environmentalists also
23 participating?

24 MR. BERLINER: As far as I know, they have been. I
25 attended at least one meeting where one of the modelers for

1 the environmentalists was there talking about the availability
2 of transfer capacity in the Delta.

3 So, as far as I know, they have been somewhat
4 involved, but they may be very involved. I don't know
5 because I haven't been at the last few meetings.

6 MR. CAFFREY: Any other questions? Thank you very
7 much, Mr. Berliner.

8 Bill DuBois and David Guy. We are going to break at
9 about a quarter to 12, or as close to that as we can and then
10 if we are successful in doing that, we will be back at 1:15.
11 Good morning, sir.

12 MR. GUY: Good morning, members of the Board. I am
13 David Guy with the California Farm Bureau Federation. We are
14 here today on behalf of our 75,000 member families throughout
15 the State, the largest agricultural organization.

16 I think something that is important to consider -- I
17 think you have been hearing from a lot of purveyors and other
18 organizations, but most of these organizations do not
19 represent people. We are here today, I guess, in a certain
20 way to tell you that your decisions do affect people, and I
21 know you are aware of that, but we would just like to remind
22 you that this does affect people and it does affect families
23 throughout the State.

24 Our member families take water from all of the water
25 courses throughout the Sacramento and San Joaquin Valleys.

1 They also take water from Metropolitan Water District, and in
2 the high desert from the State Water Project, so we have a
3 pretty diverse interest in this proceeding and that is what
4 the premise for what we are talking about today is going to
5 be.

6 I think it is also clear that your standards are
7 probably going to affect agriculture somewhat significantly.
8 I got Mr. Anderson's comments yesterday, which were pretty
9 appropriate, and when he suggested that now is really the time
10 that the Board needs to consider the policy, because we all
11 know that there's going to be a water rights proceeding at a
12 subsequent time, but right now is when the policy decisions
13 need to be made because it may be too late by the time the
14 water rights proceeding comes along and that's what we want to
15 present to you today.

16 First, we suggest to you that agriculture is critical
17 to this State, and I know there are some who don't believe
18 that, but it is very critical, and also we want to suggest
19 that you try to set your standards and do so within a water
20 rights framework.

21 So, first, let me just touch on the idea that
22 agriculture is critical to the State. I think it is not
23 generally brought up in water rights proceedings, but there's
24 two acts in the different codes that I would like to point to
25 you and urge you to read.

1 First is the Williamson Act, and I cited that in our
2 written material and it basically states some very strong
3 legislative values as to the importance of agriculture in this
4 State. And it is important as productive open space. It
5 provides a tax base and it has many values that are far-
6 reaching.

7 The second is the Delta Protection Act of 1992, and
8 I think Mr. Zuckerman and Mr. Whitridge both have suggested to
9 you the importance of Delta agriculture, and I think you can
10 read the legislative directive on that in the Delta Protection
11 Act of 1992.

12 The bottom line is that agriculture relies upon a
13 reliable and affordable water supply and that is really what
14 this proceeding is all about. So, therefore we urge you to
15 develop a comprehensive package, as everybody else has
16 suggested you also do to basically return control of the
17 Delta to the State Board, and I think we are very much behind
18 that.

19 I think there's a couple of points that you should
20 consider in doing that. The first is that I think this needs
21 to be positive, and it needs to begin from today. We can't go
22 back and change a lot of the things that have already been
23 done in this State, so I think we need to look at what is
24 happening today and work in a positive way looking forward.

25 And I think it also, as you very well suggested, will

1 also require measures that are outside of your jurisdiction
2 and we very much endorse your apparent belief that you go
3 outside of your jurisdiction and at least make recommendations
4 when appropriate.

5 So, let me talk a little bit about this framework
6 within the water rights and how we believe this can be a
7 comprehensive solution to the Delta. The first is that water
8 transfers must work. I think you have heard many people talk
9 about that and I don't think there is any question that water
10 transfers need to work. And in your standards and water
11 quality control plans, you must provide for geographically
12 diverse water transfers. I won't go into any more detail on
13 that. It is also important to note that water transfers are
14 also available under Water Code Section 1707 for environmental
15 purposes, and we saw the National Heritage Institute talk a
16 little bit about that yesterday, but that is existing law and
17 it is a mechanism that can be used in the future.

18 The second point that I would like to mention is
19 efficient water management practices and what has been going
20 on with that. We believe that a conservation ethic is
21 important in California. As Alex Hildebrand mentioned, it is
22 not limitless and there are some limits on how that can be
23 done. It must be done in a feasible and physically possible
24 manner, but it can be done.

25 To tell you what we have been doing on that, we have

1 recently sent letters to our farmer and rancher members
2 throughout the State telling them essentially and providing
3 guidance for them on how they can conserve water and
4 essentially protect their water rights. And so that is
5 something that I think is going to happen, and we are
6 essentially providing the legal guidance for the farmers and
7 ranchers to do that.

8 Another thing that is important, and Bill DuBois is
9 here, is the State Water Conservation Coalition. They
10 presented their efficient water management practice policy
11 statement to you on June 15. Bill has been very much a part
12 of this. We believe that this policy statement will be a
13 guide for efficient water management practices, both on the
14 farm and by the agricultural water suppliers throughout the
15 State and that this will, in a sense, free up some water for
16 water quality and environmental purposes.

17 A third part of our proposal is the idea of physical
18 solutions and basically the physical solution is the way to
19 achieve the optimum utilization of the waters of this State.

20 And there are three. There is a host of physical
21 solutions that could be achieved in this State, but we have
22 recommended just three of them to kind of give you an idea of
23 some of them. The first is some sort of a Delta facility, and
24 I won't go into any detail on that. We support very much the
25 Bay-Delta Oversight Council planning process. Our president

1 has been an active part of that and we support that and hope
2 the Board works closely with BDOC and that the standards again
3 allow BDOC to work in this process so that we can achieve
4 this Delta facility, whatever it may be.

5 The second part of the physical solution that we
6 recommend is the screening of diversions. Now, screening, we
7 believe, is part of a comprehensive solution. Again, it is
8 not a panacea and it is not something that should be done on
9 an absolute blanket basis throughout the State, but if it is
10 done in the proper way and with proper funding from different
11 sources, then I think that can be very much of a comprehensive
12 solution, and to that extent we would support screening as
13 part of the comprehensive solution.

14 The third physical solution that we mention in our
15 discussion is this idea that we do not believe that there is
16 a right in California water to divert at a point upstream when
17 a point downstream is also available. And I believe that
18 within the water rights context that some of the Bay area
19 purveyors could take some of their water at a downstream point
20 which would result in additional water in the Delta, and in
21 that case, it also would mean that the Bay area purveyors
22 would not lose any of their water due to cutback. They would
23 essentially retain their full water rights.

24 To go back to the next part of the comprehensive
25 solution, we feel that the area of origin protections have

1 been pretty well addressed by a lot of the different parties
2 in this proceeding, but area of origin protections must be
3 addressed and must be considered in your water quality plan
4 considerations.

5 Then, the next consideration I would like to give is
6 water supply planning. I think Mr. Zuckerman touched on it a
7 little bit, but I would like to take a little more detailed
8 stab at it, and I think it's time the Board begins to take a
9 hard look at new uses of water in California. It is pretty
10 simple to say that the rate of development in California is
11 challenging the ability of the infrastructure to keep pace,
12 and that includes the State's water supply.

13 I think DWR Bulletin 160-93 supports that assertion
14 and what we have done is we have supported very actively in
15 the Legislature this year AB 2673, which is the Cortesi bill
16 that will essentially strengthen the relationship between land
17 use and water planning in this State.

18 We have supported that and we will continue to
19 support that in the future. We believe that the Board,
20 however, has some additional authority in this regard,
21 especially under Article 10, Section 2, to essentially require
22 that new uses of water in fact be proven and adequate before
23 development is approved.

24 We are not suggesting that development is not proper,
25 only that it must have a water supply.

1 MR. DEL PIERO: 2673 got out of the Assembly on one
2 vote; is that correct?

3 MR. GUY: That's my understanding. I do not spend
4 time on legislation. It's now in the Senate. So, we believe
5 that the Board, again, has some authority under Article 10,
6 Section 2, Water Code Section 100 and Water Code Section 275
7 to in fact enforce this requirement that all new uses are
8 reasonable. It quite simply is not reasonable to allow new
9 development without a proven and adequate water supply and as
10 we have seen throughout this State that is borne by
11 agriculture throughout this State.

12 Then, let me just talk a little bit about certain
13 components of the levels of protection that will be reasonable
14 if they are followed. The first is that we believe you should
15 proceed only under State law. There has been a lot of talk
16 about the Clean Water Act, but I think it is important that
17 you keep your focus during this procedure that you are only
18 proceeding under Porter-Cologne and State law, and obviously
19 the Clean Water Act is a consideration for EPA and others, but
20 at this point I think you should keep your focus, and that's
21 important, as I will talk about in just a moment.

22 Another point in considering the standards is to
23 minimize the outflows in the Delta. Again, we have heard a
24 lot of talk about outflows, and we firmly believe that
25 outflows are not the solution to this. They may be necessary

1 to a certain extent, but they are not the solution, and
2 therefore, they should be minimized as much as possible.

3 The third point under this is that a lot of other
4 folks have suggested and we suggest that you delete the
5 striped bass criteria at this point. Others have spoken
6 eloquently on that, so I will not go any further on that.

7 Then, my final point, and back to the idea that State
8 law is important, is to consider anti-degradation, and just
9 keep in mind that there has been a conscious decision in this
10 State to divert water out of the Delta for a lot of years and
11 that this goes back well into the early history of California.

12 And again, we cannot go back in time. We must start
13 from today and we, like everybody else in this State, would
14 like to keep the water of this State at as high a quality of
15 water as possible. And we realize that certain degradation
16 has occurred to these waters over time and we hope that will
17 not occur in the future. But it is important to consider that
18 the Board does have authority and has suggested in its anti-
19 degradation policy that the waters can to a certain degree,
20 be degraded if it will achieve maximum benefit to the people
21 of the State of California, and I just might suggest that that
22 may, in fact, be the case after you take a hard look at all of
23 this. Thank you.

24 MR. CAFFREY: Thank you very much, Mr. Guy. We will
25 reserve the right to ask you questions after Mr. DuBois.

1 MR. GUY: I don't think Bill has anything to say
2 unless you have any questions.

3 MR. CAFFREY: I thought you were waiting to speak.
4 Are there any questions of these gentlemen -- did you wish to
5 add something?

6 MR. DuBOIS: I will comment on a couple of things if
7 you will permit.

8 MR. CAFFREY: Please.

9 MR. DUBOIS: The first thing I wanted to mention to
10 you is that what Alex Hildebrand said, his comments on water
11 for food in California. I think that's particularly
12 important, and we would certainly endorse his statement on
13 that.

14 And another thing is Mr. Conover's comments on the
15 value of alfalfa. I think it's real important for you to
16 consider what he said. One other thing that particularly
17 impresses me is that in my own area where I operate, which is
18 in Imperial Valley, that's a 500,000 acre irrigated area, and
19 200,000 of that is in alfalfa. Almost another 50,000 of it is
20 in Sudan grass and coastal Bermuda, which is used for fodder
21 for animals, and the primary market, of course, is the dairy
22 industry, and the dairy industry is a stable market, and with
23 a growing population in California, unless we want to turn
24 back over the primacy of some of the northern states to the
25 dairy industry, and I don't think that California is anxious

1 to lose that part of its economy, it's going to be an
2 increasing market for alfalfa. And that is one of the places
3 where I am particularly concerned with Bulletin 160's
4 prediction that there's going to be a couple of hundred
5 thousand acres left of it in the near future.

6 So, I want you to examine that pretty carefully.
7 David reminded you that we had presented to you this program
8 on efficient water management practices for agricultural
9 suppliers and for all farm uses. We expect to have that in
10 print. The Department of Water Resources is printing it and
11 it will be available and we certainly want to distribute
12 copies to your activity when those are available.

13 Thank you. That is what I had to say.

14 MR. CAFFREY: Thank you very much, Mr. DuBois. Are
15 there questions from the Board members? Ms. Forster.

16 MS. FORSTER: I am reading your comments very quickly
17 on the proposed rule making for screening. I think last week
18 I was reading about a negotiated, regulatory negotiation or
19 negotiating rule making on screening. Have you been
20 participating in that?

21 MR. GUY: I think there are people here in the
22 audience that would be able to discuss that more. I see
23 Mr. O'Brien and Mr. Lilly, and both might be involved in that.
24 I have not participated, no.

25 MR. CAFFREY: We need to chew on Mr. Lilly. I don't

1 know that Mr. O'Brien has a card in.

2 MR. LILLY: I will warn you, if you are going to ask
3 about fish screens, Mr. O'Brien is the person.

4 MR. CAFFREY: He's your expert. (Laughter.)

5 MR. GUY: I think he has a card in whether he wants
6 to or not.

7 MR. LILLY: He may be asked to whether he has a card
8 in or not.

9 MR. CAFFREY: Mr. Stubchaer has a question.

10 MR. STUBCHAER: Bill, is alfalfa an abundant crop in
11 neighboring states to California?

12 MR. DuBOIS: I think it would be, particularly in
13 Nevada and Arizona, probably Oregon, too; they have the water
14 in the right places to grow it, but I think they are faced
15 with largely the same problem as the San Joaquin Valley is,
16 and perhaps even a more severe problem there.

17 MR. STUBCHAER: I think we heard during the D-1630
18 hearing that alfalfa should be imported to the dairies rather
19 than grown in California. How far can alfalfa be economically
20 transported, do you have any idea?

21 MR. DuBOIS: I was going to say it seems to me that
22 is a proposal that must have been made by the trucking
23 companies or the railroad because it is an expensive
24 proposition compared to the value of a ton of alfalfa to cart
25 it around the State.

1 MR. CAFFREY: Mr. Brown.

2 MR. BROWN: I probably should make it clear, at least
3 for my own information, if not for others, that alfalfa in
4 the Imperial Valley, you will get seven or eight cuttings.

5 MR. DuBOIS: We cut it year around.

6 MR. BROWN: Okay, you will get six to seven tons or
7 more per year?

8 MR. DuBOIS: Hopefully ten.

9 MR. BROWN: Ten tons per year. There are other lands
10 throughout the State and elsewhere, of course, that aren't
11 nearly as efficient as the alfalfa grower, particularly in the
12 Imperial Valley, so there may be some other marginal lands
13 that are struggling with yields of considerably less than ten,
14 three or four, that might be a consideration.

15 MR. DuBOIS: That is true. Some of the high desert
16 areas only make two or three cuttings a year, but
17 surprisingly, a lot of those have total yields almost
18 equivalent to Imperial Valley's yield. They just do it a
19 whole lot quicker. Their alfalfa rests all winter and then
20 really produces in the summertime.

21 MR. BROWN: That's a superior quality of alfalfa up
22 there, as I recall.

23 MR. DuBOIS: Yes, it is.

24 MR. BROWN: So there's a lot of varying reasons why
25 some areas should be considered and others not. I would

1 suggest that Imperial Valley is one of the best places in the
2 world to grow alfalfa.

3 MR. DuBOIS: Well, the objective of a lot of farmers
4 is to get into vegetables so they can make a lot of money, but
5 after they have gone into vegetables and lost a lot of money,
6 they come back and raise alfalfa.

7 MR. DEL PIERO: Anytime they have that idea, Bill,
8 tell them to check the lettuce market for the last three
9 years.

10 MR. DuBOIS: That is right.

11 MR. CAFFREY: Anything else from Board members?
12 Staff? Thank you, gentlemen, very much.

13 Let me do some thinking here. I don't know if we
14 have all the people in the audience who have submitted cards
15 from yesterday. Is Mr. Bingham here? He did speak yesterday,
16 but there was another card in separately. I guess he is not
17 going to be appearing today. Is Laura Hoover here? Would you
18 like to come forward and address the Board?

19 MS. HOOVER: Yes.

20 MR. CAFFREY: Good morning.

21 MS. HOOVER: I'm here representing World Water Impact
22 Network, or World WIN which is a project of Community Alliance
23 Family Farmers Foundation.

24 This is nerve wracking, I've never done this before.

25 MR. CAFFREY: Relax, we are actually nice people.

1 You may hear differently as you sit in the audience. I won't
2 say that for Mr. Del Piero.

3 MR. DEL PIERO: I will do everything I can to make
4 you nervous.

5 MR. CAFFREY: We do a good guy-bad guy up here.
6 Please feel comfortable and we are very happy to have you
7 here, and we appreciate your taking the time as a citizen to
8 come here and address us. I am sure that you are going to
9 tell us something that is going to be helpful, so relax.

10 MR. DEL PIERO: Would you like to sit down?

11 MS. HOOVER: Sure.

12 MR. CAFFREY: There's a microphone at the table.

13 MS. HOOVER: I'm here representing World Water Impact
14 Network, or World Win, which is a project of the Community
15 Alliance Family Farmers Foundation, and I would like to
16 address key issue number two.

17 World Win participants include the California
18 Institute for World studies, California World Legal
19 Assistance, California Rice Industry Association, public
20 elected officials, farmers, business owners, and others
21 concerned about the impact of water quality on the future of
22 agricultural communities.

23 I also work on a farm outside of Winters in Yolo
24 County.

25 World Win was formed to represent the community

1 interests in all water policy discussions. Too often the
2 interests of farm labor, small scale farming and small
3 businesses have been overlooked in these discussions even
4 though the results of changes of water policy may have
5 significant and long-term impacts on the future of our
6 communities.

7 Our coalition is especially concerned about adverse
8 social and economic impacts which will be a consequence of
9 reductions in water availability to agriculture.

10 Over the past six years, we have seen reductions in
11 water deliveries to agriculture in the Central Valley due to
12 drought, water banking, and changing environmental standards.

13 Due to this, we have witnessed increases in
14 unemployment, increases in social service needs, lost tax
15 revenue, and a general downward trend in the economies of
16 agricultural communities.

17 These problems, unless addressed now, could intensify
18 and become long term.

19 Because changes in Bay-Delta standards could further
20 degrade the economies of rural areas, we believe it is
21 important to be especially aware of the potential problems.

22 When changes in State and Federal policy reallocate
23 a critical resource like water, an assessment of the potential
24 environmental, social and economic impacts needs to be made.
25 If major impacts are concerned, then it is the responsibility

1 of public agencies to avoid, or at least to mitigate them.
2 World Win is conducting research that is quite relevant to the
3 key issues outlined for this workshop. We are quantifying the
4 impacts of water cutbacks to agriculture that occurred during
5 the drought of 1987 to 1992.

6 First, we are measuring the direct impacts of the
7 water cutback to agriculture by compiling a comprehensive
8 geographic description of which water districts and regions
9 experience reduced deliveries.

10 The California Institute for World Studies maintains
11 an extensive data base that describes cropping patterns on
12 specific agricultural parcels from year to year. The State's
13 data base allows us to directly measure returns in harvested
14 crops in each water district.

15 We also take account of shifts from one crop to
16 another, for example, when one farmer shifts from a more
17 water-intensive crop to a less intensive water-use crop. By
18 quantifying reductions in harvested crops as a result of water
19 cutbacks, we can then estimate the corresponding reduction in
20 actual labor demands. In so doing, we use seasonal labor
21 demand coefficients for each crop that is reported by the U.C.
22 Cooperative Extension economists.

23 For example, almonds require 14 person-hours of labor
24 per acre per growing cycle.

25 Processing tomatoes requires 34 person-hours per

1 acre. Fresh market tomatoes requires 63 person-hours per acre,
2 and cantaloupe require 133 person-hours per acre.

3 In summary, our research will result in the
4 description of changes in labor demands as a result of the
5 water cutbacks to agriculture in the drought of 1987 to 1992.

6 Changes in labor demands, however, are only one part
7 of the picture. We are also concerned with the impacts of the
8 water cutbacks to agricultural life on small communities.
9 This will be quantified using easily-available empirical data.
10 We suggest that you use an independent measure of recent local
11 economic trends.

12 For example, you can analyze sales tax revenue in
13 such incorporated cities as Arvin, Coalinga, Corcoran, Dos
14 Palos, Firebaugh, Gustine, Hanford, Huron, Lemoore, Mendota,
15 Newman, Patterson, and San Joaquin.

16 Other sources would be business license fee revenues
17 in the same cities, property tax assessments by region,
18 economic conditions of special districts, and the values of
19 agricultural properties by region.

20 Finally, unemployment rates should be analyzed by
21 determining the duration of employment, the peak seasons of
22 employment demands and the annual earnings of those who are
23 employed.

24 We would be glad to discuss our research methodology
25 further with the Board, and we are pleased to find that you

1 are undertaking this kind of analysis, and if there are any
2 questions about our research, we will be glad to meet with
3 you. Thank you very much.

4 MR. CAFFREY: Thank you, Ms. Hoover. Are there
5 questions? Mr. Brown, first.

6 MR. BROWN: Ms. Hoover, I understand the cities of
7 Firebaugh and Mendota right now are having about 40%
8 unemployment; is that correct?

9 MS. HOOVER: Yes.

10 MR. BROWN: The status quo as things are today and
11 when Public Law 102-575 is in full operation, it will mean
12 further reductions in water, I'm sure. I just thought that
13 they were experiencing severe unemployment right now, and of
14 course, the property values have plummeted.

15 MS. HOOVER: Yes, and they are having trouble paying
16 back their bonds for the public high schools and such.

17 MR. BROWN: Land that was worth 3500 dollars an acre
18 two or three years ago is worth 500 or 600 dollars an acre, if
19 you can find a buyer?

20 MS. HOOVER: Yes.

21 MR. STUBCHAER: I find your presentation quite
22 interesting and well done. I want to ask Mr. Griffin, do you
23 have the data or the coefficient, the factors she mentioned on
24 labor per unit of agricultural area?

25 MR. GRIFFIN: No, we do not. It is a topic of great

1 interest to us and I would like to request some information
2 from you.

3 MS. HOOVER: I will give you my card.

4 MR. GRIFFIN: Do you have any studies already
5 completed and written that we could review?

6 MS. HOOVER: No, we are working on it right now. It
7 should be done in the next few months.

8 MR. GRIFFIN: I certainly would like to have a copy
9 when it is ready.

10 MR. CAFFREY: Perhaps preliminary information that
11 could be used in our economic analysis if the timing doesn't
12 work out otherwise.

13 MS. HOOVER: Okay.

14 MR. CAFFREY: We certainly welcome and encourage your
15 participation with our economics unit. Any information you
16 can give them verbally or in writing, please communicate with
17 them.

18 Any further questions from Board members? Anything
19 else from staff? Thank you very much, Ms. Hoover. You did
20 a very fine job even though you say you were nervous.

21 I think this is probably as good a time as any to
22 break. I said we were going to try to break about a quarter
23 to 12:00. It is twenty to now.

24 Let me just tell you who is going to talk to us this
25 afternoon. We have Jim Chatigny, Alan Lilly, Lowell

1 Lindowski, Russ Brown, David Vogel, and Jim Easton. Those
2 will be the presenters this afternoon.

3 We will be back at 1:15. Thank you all very much.

4 (Noon recess.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 THURSDAY, JULY 14, 1994, 1:15 P.M.

2 --oOo--

3 MR. CAFFREY: Good afternoon. We will get back to
4 our presentations. Mr. Del Piero will not be joining us this
5 afternoon. He is representing us somewhere on the eastern
6 side of the Sierras. He is on his way over there for a
7 regional board meeting and Mr. Pettit will be leaving us in
8 about 45 minutes to join in a Water Policy Council meeting in
9 the Resources Agency, but the four Board members who are now
10 here will stay, of course, and we will be hearing this
11 afternoon from Mr. Chatigny, Mr. Lilly, and I mentioned
12 earlier Dr. Brown, Mr. Golb, Mr. Easton, Mr. Lindowski, Mr.
13 O'Brien. Mr. O'Brien did decide to submit a card. After all,
14 you had no alternative, Mr. O'Brien.

15 All right, Mr. Chatigny. Welcome.

16 MR. CHATIGNY: Good afternoon. Again, it's a
17 privilege to be here. As I said last time, I was a long-time
18 listener and first-time caller. Now I am a second-time
19 caller.

20 I was going to bring you up to date on the brown ring
21 syndrome that I talked to you about the last time when we made
22 that flight to Phoenix, and I am sure the brown ring --

23 MS. FORSTER: I look now when I am flying.

24 MR. CHATIGNY: I had a flight scheduled to Long Beach
25 last Saturday, but America West wasn't cooperative, so I was

1 not able to do that to catch you up to date, so I apologize.

2 MR. BROWN: I am probably just oversensitive to a
3 brown ring, but that's all right.

4 MR. CAFFNEY: I knew that would come up -- sorry.

5 MR. BROWN: It's all right. Staff had a brown bag
6 the other day.

7 MR. CHATIGNY: I am Jim Chatigny, General Manager of
8 the Nevada Irrigation District and also Chairman of the Delta
9 Tributary Agency's Committee.

10 I am here this afternoon as Chairman of DTAC for the
11 beginning part of this.

12 As we discussed in our comments for the June 14th
13 workshop, DTAC is composed of 30 water purveying agencies
14 located upstream of the Sacramento-San Joaquin Delta on both
15 the Sacramento and San Joaquin Rivers. Under key issue number
16 1, which wildlife standards should the Board evaluate as
17 alternatives in this review? I passed out yesterday a five-
18 page document which I will just paraphrase and pick out
19 certain sentences here as we go through this. But in our
20 detailed comments for June 14, DTAC noted that many factors
21 have directly influenced the fish and wildlife resources of
22 the Delta. We noted that the recent declines in Bay-Delta
23 fisheries coincided with four of these factors. One was the
24 increased SWP and CWP exports, increased commercial fishing,
25 several new introduced species, and higher levels of

1 pollution.

2 The Board, therefore, should develop and evaluate
3 fish and wildlife standards and other actions that will
4 specifically address and/or reverse the adverse effects of
5 these recent developments.

6 Any new fish and wildlife standards should have these
7 following objectives:

8 Standards must be aimed at improving the Delta, both
9 as a nursery area and as the fish migration path, and the
10 Board should not simply order greater Delta outflows.

11 The standards must offer credible benefits to all
12 aquatic resources. The standards must be flexible enough to
13 maximize water transfer opportunities, and water transfers
14 probably will be the best method for mitigating the impacts of
15 reduced supplies in export areas plus still honoring the area
16 of origin statutes.

17 Because many of these factors that cause declines in
18 the Bay-Delta fisheries are not flow-related, simply
19 increasing Delta outflow will not solve all of the Delta
20 problems. Instead, the Board should include other standard
21 actions and recommendations in the Water Quality Control Plan.

22 Some of these factors, like water pollution, are
23 within the Board's jurisdiction. The Water Quality Control
24 Plan therefore should specifically address water quality
25 actions the Board and the Regional Water Quality Control

1 Board will take to reverse the adverse impacts caused by water
2 pollution.

3 There are some factors that are not within the
4 Board's jurisdiction, and these are things that we are going
5 to have to be working on together as we move along and try to
6 find the answers that we need for improving the Delta.

7 Then, under key issue number 2, how should the
8 economic and social effects of alternative standards be
9 determined. In what is undoubtedly a significant
10 understatement, the Board's Notice for key issue two for this
11 workshop states, standards for the Bay-Delta estuary have the
12 potential to affect a large portion of the State.

13 We agree that significantly greater Delta outflow
14 requirements will have serious economic impacts throughout
15 California, and particularly in the regions where water
16 supplies are reduced or shifted to ground water.

17 We in DTAC have not yet made an analysis of the
18 specific water supply or economic impacts of any alternative
19 set of standards. This analysis is rather difficult or
20 impossible until the details of the standard implementations
21 are known. Nevertheless, it is clear that the Board should
22 not follow the approach that is taken in the Draft Regulatory
23 Impact Assessment of EPA's proposed Delta water quality
24 standards. That approach was defective for many reasons, and
25 I have outlined that significantly, which I won't go through

1 a lot, but we do know and we have heard from other
2 commentators through all your hearings that there are some
3 flaws in this assessment, so I will leave that to you to read
4 and then respond to any questions from the staff or from your
5 Board.

6 There are times where the Draft Assessment completely
7 ignores the limitations on the amount of capital that will be
8 necessary for the shift from low to high-value crops. And you
9 heard much about that in the last day and a half.

10 The Draft Assessment does not analyze the cumulative
11 multi-year economic impacts of droughts lasting more than one
12 year.

13 And then the assessment totally ignores the secondary
14 impacts of reductions in agricultural production.

15 In summary, the economic analysis is faulty because
16 it makes unrealistic assumptions about the likelihood that
17 economic impacts could be transferred from high to low value
18 crops. It totally ignores applicable physical limitations and
19 limitations from California water law and applicable contracts
20 that we have all entered into.

21 It also is faulty because it indirectly assumes that
22 substantial amounts of capital that would be required for
23 large assumed changes in water delivery systems would be
24 available because it ignores the groundwater impacts and the
25 multi-year drought impacts that would occur and because it

1 ignores the economic multi-year impacts that would result from
2 reduction in primary agricultural production.

3 And then under key issue number 3, should the Water
4 Resources Control Board request the Central Valley Project and
5 State Water Project to implement portions of the draft
6 standards prior to adoption of the water rights decision? And
7 in our comments for the June 14 workshop, we emphasize the
8 importance of area of origin laws, and Mr. Brown added onto
9 that quite a bit and we in DTAC in the mountain regions do
10 feel that the area of origin laws must be protected. These
11 laws specify that water that is required for beneficial use
12 and public trust resources in the Delta, and areas tributary
13 to the Delta, may not be exported.

14 Because Delta exports are limited to surface water,
15 additional water needed to protect Bay-Delta resources must be
16 obtained by reducing exports or providing new sources of
17 water. This should not or may not be obtained through
18 involuntary taking of water that is needed in areas of origin.

19 This key issue addresses only potential voluntary
20 actions by the Central Valley Project and State Water Project.
21 So, such actions would not violate the area of origin laws, so
22 we therefore do not have any comments at this time, but we'll
23 be working with the Board and your staff as we go into the
24 further decisions on the Delta.

25 If I may, I would like to make one comment about

1 water quality. As I was coming here this morning, on our
2 local radio station, we have a very small radio station, but
3 the Director of Environmental Health was on the radio being
4 interviewed by one of the disc jockeys and they were talking
5 about septic systems.

6 Right now, the Regional Board has a 100-foot setback
7 from a well or a live stream for a septic system.

8 Well, the conversation went on that they are looking
9 at reducing this from 100 to perhaps 75, and then perhaps 50
10 feet and perhaps 25 feet. So, in our mountain counties where
11 we live, half of the people are on septic systems and where
12 our streams are conveyance facilities, we are being hit by
13 water quality problems, too, just as the Bay-Delta perhaps is.

14 So, the waters that we have there are going to be
15 needed to dilute some of this contaminant because we are still
16 certain that 100 feet probably is too small a setback as we
17 look at the water quality problem that we experience in the
18 mountain counties. Of course, we have to do a water sanitary
19 survey by direction of the State Health Department, and
20 hopefully we can maintain these further setbacks to protect
21 our water quality. If we can't, it is going to take
22 additional water supply to meet those quality requirements
23 within our own local areas.

24 But again, I would like to thank you for the
25 opportunity to be here to present our position on these three

1 key issues, and we are available to the Board and staff at any
2 time to offer our assistance. Thank you very much.

3 MR. CAFFREY: Thank you, Mr. Chatigny. Are there
4 questions from the Board members? Ms. Forster.

5 MS. FORSTER: You saw me groping around here. I was
6 looking for what you were reading from. This is what I have.
7 I didn't see your other handout.

8 MR. CHATIGNY: We have Delta Tributaries that was
9 handed out yesterday morning. It was going to be delivered
10 yesterday, but we will make sure you get it if you don't have
11 it. But we did bring several copies yesterday.

12 MS. FORSTER: I have one question. People have come
13 up and expressed that a lot of groups are working together and
14 sharing ways that they might be able to reach consensus. Is
15 that happening -- are you folks involved with that? Are the
16 area of origin people, the mountain counties, looking at what
17 CUWA is doing and the urban people and the environmental
18 groups and some of the agricultural groups? Are you following
19 and participating?

20 MR. CHATIGNY: We have been in conversations, I know,
21 with CUWA and with some of the other groups, yes, ma'am. Of
22 course, it's going to be a long process, but then everybody's
23 position is not everybody's else's position, so as I said in
24 the Nevada Irrigation District handout, it is going to be a
25 given and take. Everyone is going to have to work towards

1 this. We don't have a Solomon's sword that we split the baby
2 with.

3 MR. BROWN: Jim, you might take a minute and explain
4 to Board member Forster and others a little bit about the
5 Mountain County Water Resources Agency and it's --

6 MR. CHATIGNY: Certainly. The Mountain County
7 Resources Agency was formed probably 15 years ago and it
8 included most of the mountain counties, El Dorado, Placer,
9 Nevada, Tuolumne, Mariposa, and they formed together as a
10 group along with all the water agencies in those counties who
11 help protect their area of origin and their water rights, and
12 they have been active. We have had several meetings with our
13 legislators. We meet on a bimonthly basis, and we have
14 proposed some legislation and we are in the process of doing
15 some more of that at the present time as a means of protecting
16 our water rights.

17 Mr. Brown, prior to the time he became a member of
18 the Board, was an active member, when he was with his
19 engineering firm, an active member in the Mountain Counties,
20 and I think we have done quite a bit. We have been active in
21 ACWA and the Mountain Counties Resources Association parallels
22 or basically mimics our Region III of the Association of
23 California Water Agencies.

24 And we have picked out five different key issues that
25 we are looking at and that's the area of origin water rights,

1 mandates which are not very germane to this hearing, and wild
2 and scenic river designations that will hamper or prohibit
3 additional development of water supplies. When and if the
4 need comes to make more storage available, with the wild and
5 scenic designation of the river, it will all but prohibit that
6 as well as the production of hydroelectric power in the
7 future.

8 Mountain Counties have been active and we will be
9 getting more active.

10 MS. FORSTER: Thank you.

11 MR. CAFFREY: Anything else of Mr. Chatigny? Thank
12 you, Mr. Chatigny. Next is Alan Lilly. Good afternoon, Mr.
13 Lilly.

14 MR. LILLY: Thank you, Mr. Caffrey. Before I get
15 started, I hope you have these documents entitled, Comments of
16 Amador County Water Agency, et. al., and following your
17 suggestions, we submitted it to you Tuesday morning.

18 MR. CAFFREY: We appreciate that.

19 MR. LILLY: It's only one page and a half long, so
20 hopefully you have all had an opportunity to read that.

21 MR. CAFFREY: It was Mr. Del Piero who was
22 particularly assertive about those pre-submittals and we
23 appreciate your compliance.

24 MR. LILLY: I am sorry he is not here. I am sure he
25 would have some good questions, but I appreciate the rest of

1 your attendance to this.

2 I'm Alan Lilly from the law firm of Bartkiewicz,
3 Kronick, and Shanahan, and I am here today representing four
4 members of DTAC, and those are the Amador County Water Agency,
5 Brown's Valley Irrigation District, Yolo County Flood Control
6 and Water Conservation District, and the Yuba County Water
7 Agency.

8 I am not going to repeat the discussions of the area
9 of origin statutes. You have heard them from many people and
10 certainly very eloquently this morning from Mr. Zuckerman.
11 And we certainly wholeheartedly agree with those comments that
12 these statutes need to be enforced and followed in this
13 process.

14 I will just note one point on the staff's use. The
15 argument from Metropolitan Water District seems to be that the
16 State's constitutional prohibition on waste and unreasonable
17 use is some broad authority for this Board to simply cut back
18 beneficial uses in the area of origin because that water is
19 needed in the export areas or to mitigate the impacts of the
20 exports from the Delta. And we disagree with that. We agree
21 that the constitutional prohibition stops wasting of water and
22 using more water than is necessary for a particular beneficial
23 use. I don't think there is any dispute that the Racanelli
24 decision makes this very clear, and also, sources of pollution
25 are prohibited.

1 And I think the Rice Industry Association's last
2 workshop made very clear the substantial gains that they have
3 done in the rice industry in reducing pollution.

4 But it would be going another whole step to say
5 that traditional uses of water for agriculture at the most
6 efficient levels that are possible under normal agricultural
7 practices are unreasonable simply because more water is needed
8 for Delta outflow to mitigate the impacts of the project, and
9 we certainly disagree very strongly with that.

10 Stated very simply, if the area of origin statutes are
11 going to be obeyed, then implementation of Delta outflow
12 requirements cannot be done on a pro-rata basis where everyone
13 contributes a certain percentage of their use. Instead, it
14 has to be what I call a reverse priority basis, which is the
15 way California water rights normally are implemented where the
16 junior rights have the first obligation to meet the outflow
17 requirements and the senior water rights holders are only
18 impacted to the extent necessary after the juniors have been
19 cut off.

20 Going on to my second point, yesterday we heard from
21 Tom Clark from the Kern County Water Agency about the very
22 serious water problems in Kern County, and we sympathize with
23 their plight.

24 Frankly, I think the concern on behalf of my clients
25 and other users of water in the Central Valley is that

1 improper implementation of Delta outflow requirements would
2 lead to similar problems in the Central Valley, and
3 particularly in the Sacramento Valley. It is just not
4 appropriate for those foreclosures and other truly drastic
5 impacts to be carried forward into the areas of origin.

6 Kern County agencies took certain risks when they
7 agreed to the State Water Project, in supporting it and very
8 clearly reaffirmed the area of origin statutes at that time,
9 and it is not appropriate for that risk now to be transferred
10 to various areas of origin, and we are very glad that Mr.
11 Clark recognized that fact and confirmed his agency's support
12 of the area of origin statutes.

13 My next point is about a disturbing trend and maybe
14 I am just paranoid, and I hope it is just unreasonable
15 paranoia and not a true fact, but there's a trend in the State
16 Board notices, and frankly, in the framework agreement, and I
17 am concerned that this concept of equitable allocation is
18 being repeated so much, and I guess I will say that in
19 California water law, I have noted phenomenon where people
20 keep talking about a phenomenon for a long enough period of
21 time that people start thinking it's an accepted dogma or
22 paradigm when it's never been fully scrutinized and tested,
23 and I am concerned that is what is happening with this concept
24 of equitable allocation.

25 I guess you really can't object to something

1 equitable, I mean equitable by nature is good, reasonable and
2 fair, but I think there's a certain assumption that is
3 starting to really become pervasive and that is that equitable
4 allocation means everyone's beneficial uses have to be cut
5 back to meet Delta outflow standards, and I really hope that
6 that assumption is not becoming dogma in this process for two
7 reasons.

8 First of all, it is a very important legal issue. I
9 went through this in detail in the last workshop about the
10 legal arguments supporting the area of origin statutes, and I
11 think equitable allocation or across-the-board allocation
12 would violate those, and probably more important, I am
13 concerned about the Water Board prejudging this issue before
14 we get to a water rights hearing, and even more serious,
15 prejudging with the wrong result.

16 As we said before, it would really be violating the
17 most fundamental agreement that was ever made between Northern
18 California and Southern California for the area of origin
19 principles to be ignored and have some sort of an across-the-
20 board allocation.

21 So, I really do hope the Board will take these
22 comments seriously and just, at the very least, not kind of
23 accept this trend by osmosis, but keep an open mind until the
24 time comes for that issue to be fully evaluated.

25 Maybe we can resolve it through the discussion

1 process we are doing, but if we can't, and this Board has to
2 make a final decision, we hope that by the time that does
3 happen, the Board will still have an open mind to really
4 evaluate that and reach the proper legal result.

5 Regarding the issue of number 1 for today's workshop,
6 the alternative standards, we listened with great interest to
7 the Natural Heritage Institute's presentation yesterday, and
8 frankly, I have to say on the surface, the concept of an
9 environmental water fund appears to be a good idea and,
10 frankly, entirely consistent with the area of origin statutes.
11 And also, I guess I have to state we're very heartened to hear
12 them say that increasing environmental protection is really a
13 desired goal for a majority of Californians, that it is
14 reasonable for all Californians to pay for that obligation and
15 not to have it simply be imposed on certain water users.

16 And also, we are heartened that estimates are that
17 the costs would be fairly modest.

18 Now, we do have the same concerns that Mr. Brown and
19 others raised yesterday and today, that the Natural Heritage
20 Institute analysis hasn't considered the third-party,
21 multiplier effects on the community and so forth, and
22 obviously, those are very important effects, and we appreciate
23 the fact that the Board now has a staff economist on board to
24 evaluate those, so while we support the general concept, we do
25 want, we do want to send a very clear caveat, particularly for

1 the economic analysis that more than just simply the value of
2 the crops, the farmer has to be considered for subsidy
3 process, but frankly, it does make sense that the reductions
4 in water use come from where the water use is being put to the
5 least value, but with the caveat that there's compensations
6 on the people who have the ability to pay the area where the
7 water is being used and when it would be fallowed to make up
8 the increased Delta outflows.

9 On that point, I have said this before, this is a big
10 process and the Water Board, I know, is under pressure to
11 solve this process, but I don't think you should be ashamed to
12 ask for help from other agencies when it is necessary to truly
13 solve the problem. And I think an environmental water fund
14 needs to have legislation to be implemented.

15 And in essence, we are talking about a tax or some
16 other funding mechanism that's beyond this Board's authority,
17 but I don't think you should be afraid of it or back away from
18 it simply for that reason.

19 I think it would be a big mistake to use your limited
20 water rights authority to implement funding for an
21 environmental water fund in an inefficient way when the
22 Legislature can do it so much more efficiently.

23 And frankly, I pulled out the Porter-Cologne Act last
24 night, and Water Code Section 13,242(a) is right on point. It
25 was nice to find a statute that agreed with what I was saying

1 here.

2 Talking about programs of implementation in water
3 quality control plans, it says they shall include several
4 different things, (a) a description of the nature of actions
5 which are necessary to achieve the objectives, and here's the
6 important part, including recommendations for appropriate
7 action by any entity, public or private.

8 That's pretty broad, and I think there is no question
9 that includes recommendations for new legislation, and clearly
10 that is what the Legislature had in mind as problems of water
11 in California evolve, new statutes may be necessary, and this
12 appears to be a case where that may be necessary.

13 Frankly, one of the big problems we had with Draft
14 Decision 1630 was that the fees that were proposed in that, we
15 had a couple of problems -- one was there was a question
16 whether the Board had legal authority to deal with that, and
17 obviously a statute could address that concern; and the other
18 problem was the impacts. As a rough estimate, we figured the
19 impact on an average farmer in the Sacramento Valley was
20 10,000 dollars. The impact on an average urban water user was
21 about 10 dollars per year, a factor of a thousand difference,
22 and we think that with legislation adjusting that point, this
23 tremendous discrepancy would be addressed and addressed in a
24 way that really would be reasonable for all Californians.

25 Finally, going to issue number 2 for today's

1 workshop, we haven't commented in detail on the potential
2 economic impacts, really because we think the implementation
3 of those is a big uncertainty. It's very difficult for us to
4 comment, and of course, we think the implementation should
5 rest on the two projects solely under the area of origin
6 statutes.

7 But in the interest of completeness, I would like to
8 reference some exhibits that my clients submitted at prior
9 Water Board hearings, and I know your notices have asked for
10 us to reference prior exhibits where appropriate.

11 It turns out all my clients have been involved in
12 threats to their water supplies in hearings before this Board,
13 so I will cite real quickly from the Lower Mokelumne River
14 hearing. Amador County Exhibits 2, 3, 9 and 10 addressed
15 potential impacts on Amador County.

16 From the Bay-Delta hearings from 1992, Exhibits WRINT
17 Yolo County Flood Control and Water Conservation District 2
18 addressed potential impacts in Yolo County, and then from the
19 Lower Yuba River hearing in 1992, YCWA Exhibits 13 and 16
20 addressed the impacts.

21 Those exhibits all addressed economic impacts that
22 would result from increased flow requirements, but basically,
23 the result would be the same, the economic impacts from
24 reduced water supplies in the county of origin. I should
25 qualify, the Yolo exhibits were directly for Bay-Delta and

1 other instream flow requirements.

2 The final point I would like to make, and I am sorry
3 I have to keep doing this, but we keep hearing this from Fish
4 and Game and it is very disturbing and I do have to respond.
5 Once again, yesterday, the Department of Fish and Game argued
6 that the contributions for Delta outflows should come from
7 each tributary according to some sort of sharing formula. We
8 have been through this before many times, and I will just say
9 it again, it is simply not appropriate and would violate the
10 area of origin statutes; and furthermore, as discussed by NHI
11 yesterday, it could be inefficient causing the fallowing of
12 higher value crops than is truly necessary.

13 In essence, what the Department is trying to do is
14 use the Delta process as a second attempt to get this Board to
15 order higher instream flow requirements for rivers like the
16 Yuba and the Mokelumne where the Water Board has already held
17 hearings.

18 During the hearings on those rivers, the Department
19 of Fish and Game did not give adequate scientific support for
20 its proposals, and we believe very strongly that it still does
21 not have adequate scientific support for those proposals, and
22 in any case, it should not be allowed to use the Bay-Delta
23 hearing process to address instream flow requirements in Delta
24 tributaries.

25 You've got a big enough problem to solve with just

1 the Delta in this hearing, and the instream flow requirements
2 on any particular tributary should be addressed through
3 separate hearings that the Water Board is holding on those
4 tributaries.

5 So, with that, I will close and thank you all for
6 giving me the opportunity to make these comments, and I will
7 be glad to answer any questions you may have.

8 MR. CAFFREY: Thank you, Mr. Lilly. Ms. Forster has
9 a question.

10 MS. FORSTER: Mr. Lilly, this morning somebody raised
11 the issue of screens, and yesterday when Fish and Game were
12 here, they touched on some of the work they were doing in
13 different areas on endangered species, and I am trying to put
14 together in my mind, and it is not really that critical to
15 say, and it is probably not a part of the specific issues for
16 the hearing, but I am trying to put together an understanding
17 of what we are doing all around the State to restore and
18 enhance fisheries.

19 And I think that before we are through with this
20 process, the people that you represent, if there is anything
21 you could send over, because there must be a connection that
22 will lead to peace of mind. There must be something that will
23 be an important part of the final scenario to explain the
24 whole story of what California is doing to bring back the fish
25 and wildlife resources, and that's why I asked a little bit

1 this morning about what is happening with the proposed rule
2 making for screening. How long is that going to take? Are we
3 going to be able to experience improvements within a
4 relatively short time frame? Are we looking at 20 years? I
5 read in the Western States Water Newsletter today that some
6 states for salmon fisheries, and I know that this would be
7 alarming, but Washington and Oregon have stopped their
8 commercial fisheries of salmon, so there is a whole story out
9 there that is disconnected and not being told very well, and
10 so anything that you have from the area of origin would be
11 real helpful.

12 MR. LILLY: You know, I have to say I'm really
13 encouraged by this process. I think maybe it is just the
14 culmination of knowledge over the years. We have all been
15 through so many of these Bay-Delta proceedings, but the level
16 of knowledge is certainly far higher today than it has ever
17 been before, and I agree wholeheartedly with you, we are not
18 going to solve California water problems just by looking at
19 the Delta, just by looking at the upstream areas, or just by
20 looking at the ocean fishery, because with anadromous fish,
21 obviously, they all three are crucial.

22 I'm heartened because I think it is very clear that
23 the Board for the Bay-Delta process has to realize that it is
24 part of a much larger context.

25 Now, let me just comment on the screening issue

1 briefly, and I will take to heart your comments because
2 they are very good requests.

3 We mentioned at the last workshop, and I will repeat
4 it today, that it is our position very strongly that if there
5 are impacts associated with upstream diversions, the place to
6 address those is at the upstream point of diversion. Very
7 similar, if there is a problem with pollution in an upstream
8 area, the place to address it is at the discharge point. It
9 is not appropriate to say, well, the upstream users are
10 killing fish through unscreened diversions, therefore, they
11 should have to make greater Delta outflows. The connection is
12 too tenuous.

13 And frankly, the diversions upstream are going to
14 have very differing impacts on the amount of fish that are
15 entrained at each one. My clients tend to be in the furthest
16 upstream areas where there aren't as many anadromous fish
17 runs. There certainly are some on the Yuba River, as this
18 Board is familiar with, and those issues are being addressed,
19 and frankly, that was one of the issues at the Lower Yuba
20 River hearing. It's our position that particularly on the
21 South Canal there has been some dispute that there's a very
22 adequate fish screen, but I will just say those are important.
23 They need to be considered as part of the context, but I think
24 they should be addressed locally rather than through some kind
25 of indirect attempt at mitigation.

1 Now, as far as what the specifics of what NMFS is
2 doing on this rule making, because my clients don't divert
3 from the Sacramento River and the Delta in the area the rule
4 making is proposed to take place, I don't have direct
5 involvement in that, and as much as I hate to pass the buck,
6 I am going to do it because I know Mr. O'Brien's clients are
7 specifically involved very heavily with the Sacramento River
8 issues, so I would like to defer to him on the specific
9 details and scheduling of the NMFS rules.

10 MR. CAFFREY: Questions by other Board members?
11 Anything from staff? Mr. Lilly, thank you very much.

12 MR. LILLY: Thank you.

13 MR. CAFFREY: I'm just trying to find out if some of
14 the folks are here. Is Mr. Lindowski here? Mr. Lindowski is
15 not here. He was here yesterday, so we will take him off the
16 list.

17 Next we are going to hear, I believe it is a joint
18 presentation from Dr. Russ Brown and Jim Easton. Is that
19 correct, are you all speaking together as a panel?

20 DR. BROWN: Separate.

21 MR. CAFFREY: Is that just a strategy, they each get
22 20 minutes. Let me do this, your presentation is joint
23 inasmuch as you have asked to be in a certain order because
24 each speaker bears a relationship to the other two. We have
25 a little, not that we want to stifle you, but we have a

1 logistics problem here. We have two Board members that have
2 to leave in about an hour and we want to hear your
3 presentation as well as Mr. O'Brien's, so that we can wind
4 this up around 3:00 o'clock. Is it possible for each of you
5 -- I believe Mr. O'Brien, you've asked for only 5 minutes.
6 Is it possible for each of you gentlemen to hold your
7 presentation to a maximum of 15 minutes?

8 DR. BROWN: I may not be able to. I may be a full 20
9 minutes today.

10 MR. EASTON: I can do mine in 5.

11 MR. CAFFREY: That helps. We will give you 20
12 minutes, Dr. Brown. Is Mr. Vogel out there? Mr. Vogel, we
13 remember you. Good to see you again. How much do you need,
14 sir?

15 MR. VOGEL: Fifteen.

16 MR. CAFFREY: That will work out fine and we can get
17 to Mr. O'Brien so everybody can be here to hear the
18 presentation. We thank you all.

19 DR. BROWN: I am up?

20 MR. CAFFREY: Good afternoon, Dr. Brown. Did you
21 bring us some more diskettes for our computers?

22 DR. BROWN: Yes, whenever you would like to trade in
23 the monthly model for the daily model, I will make a swap with
24 no upgrading cost.

25 MR. CAFFREY: Mr. Stubchaer has schooled us well.

1 DR. BROWN: I am Russ Brown and I work for Jones and
2 Stokes and my testimony actually is shared between myself and
3 two of the other resources scientists at Jones and Stokes,
4 and we thought this was the final workshop in the series, and
5 in a sense, we tried to put all of our good ideas down on this
6 last presentation. This is sort of a hallway talk from Jones
7 and Stokes of what you might do with the Delta.

8 We will start with the first overhead. My testimony
9 today is the third paper, because the three testimonies were
10 related in some of the concepts, so we put all three together,
11 and so I am discussing from the third paper out of this
12 booklet. I hope you have a copy.

13 MR. CAFFREY: We have it separate.

14 DR. BROWN: This is my first overhead. Do most
15 people in the audience have these diagrams? These are the
16 color versions. So, what I want to talk about today could be
17 labeled in general the Delta water allocation dilemma. The
18 Delta, of course, has many dilemmas, but perhaps this is the
19 crux of it.

20 So, I have a diagram that shows the available water
21 supply coming from snow pack or rainfall and moving through
22 the upstream reaches and I'll just characterize the beneficial
23 uses there as reservoir storage and release, agricultural
24 diversion and drainage, and municipal diversion and
25 discharges. Of course, there are other beneficial uses, but

1 we will go with these three. So, we end up at the Delta with
2 Delta inflows, and the challenge is how to allocate the Delta
3 inflow among the various beneficial uses that can be made of
4 that water as it flows into the Delta. And I'm characterizing
5 beneficial uses into three general categories in my
6 presentation. The first we will call water supply. The
7 riparian diversions that are made within the Delta and Suisun
8 marsh for various beneficial uses is my first sort of example
9 of water supply uses of the Delta inflows.

10 The export pumping is done predominantly in the South
11 Delta, but also at the Contra Costa and North Bay and that
12 represents a second example of the water supply category of
13 beneficial uses.

14 Using salinity control as a second category of uses,
15 we have the traditional salinity control for mineral content
16 for irrigation or for water supply, which is my first example
17 of a salinity control water use and we have been discussing
18 among each other the possible use of water for estuarine
19 habitat management which would be a second example of salinity
20 control beneficial uses of water that's flowing to the Delta.

21 Finally, I have just two examples of the third
22 category that I will be describing today, fish beneficial uses
23 or beneficial uses involving fish. We can imagine that water
24 could be used for fish transport or for fish protection and
25 fish protection would perhaps be characterized by export

1 reductions to protect fish that are in the Delta at a
2 particular time. The take limits would perhaps be in this
3 category.

4 So, I know what you are anxious to hear today is how
5 to get out of the Delta dilemma, and so my main theme or main
6 point this afternoon is that we are recommending that you
7 choose to implement what we are going to call adaptive
8 management, and perhaps you have heard the term before, and
9 are wondering what it is. In particular, as we think of the
10 six ways that we might potentially allocate water, adaptive
11 management involves three things.

12 First, you have to have quite a lot of information
13 about the actual system and so I'm going to be reviewing our
14 contention that daily data from the Delta is available and can
15 be used for guiding or framing the decisions in this adaptive
16 framework.

17 Secondly, you need to have objectives for the
18 resource and in this case we are characterizing them as
19 beneficial uses and some allocation or balancing among the
20 chosen beneficial uses.

21 The third thing is that you have to, with the
22 monitoring, see whether your controls, your management actions
23 have actually resulted in these objectives or changes toward
24 those objectives. So, that is what adaptive management is.

25 And I have my homemade joke for you now. I just

1 celebrated my 20th anniversary, so this is a married joke. In
2 adaptive management, the husband would recognize that as
3 adapting to your wife's management. But this is not what we
4 mean. What we mean by adaptive management is that the
5 management would adapt to, in this case, your husband to, in
6 the case of a marriage, live together happily. In the case of
7 the Delta, we need to change our management to improve it over
8 time, to match reality, the reality of the Delta.

9 I'd better go to my second overhead. This is my tic-
10 tac-toe diagram. It is actually misplaced. It is the third
11 figure in your document, so if you would switch to this. What
12 we are suggesting for what you should implement in December of
13 this year, or as soon as you are able to get your document
14 out, is something that may look the same in that it will be a
15 document, but the contents could be quite different than what
16 has been released in the past, because this could be a system
17 of Delta standards which are categorized into three different
18 purposes.

19 The first purpose of some of the Delta standards
20 would be requiring this daily information that I have spoken
21 about before. That differs every so slightly from what you
22 asked for in decision D-1465 (sic) because there you ask that
23 the monitoring be done and here you will be asking and
24 actually requiring that the data be recorded on a daily basis
25 much as the pollution discharge reports are turned in to the

1 regional boards.

2 The second category of standards will be those most
3 familiar to us. These are minimum protection requirements.
4 These are fixed ahead of time, are relatively inflexible,
5 although they may depend on hydrologic conditions, but they
6 provide a minimum protection for each of the beneficial uses
7 in some kind of a chosen balance, perhaps not equitable, but
8 chosen ahead of time as the balance, as your goal.

9 The third type are the ones that I would like to try
10 to illustrate because these are less familiar, and we are
11 calling these Adaptive Allocation Objectives. The trouble
12 with these at first is that they look squirmy. They are
13 wiggly. You are not exactly sure what you are trying to do.
14 They are relatively broad goals and you are intending with
15 your available management actions to reach an objective, but
16 you can't be sure ahead of time how to get there, and
17 reminding you of what I have spoken on before, it is because
18 the Delta is highly variable and very uncertain, and I call it
19 a semi-natural ecosystem.

20 We have done a number of things in the past. It is
21 different than a pure natural system, but it retains much of
22 the natural system's characteristics. And so we are required
23 to get this daily information and apply on top of the minimum
24 protection standards these adaptive management standards.

25 I have just illustrated quickly a run-through of some

1 of the sort of what would be the ultimate matrix of these
2 standards that you could put out in a new document as early as
3 Christmas.

4 Under daily information needs, just to run through
5 the resource categories with me, we know tremendous amounts
6 about our water supply, how much flow is coming out of each
7 tributary reservoir, out of each unregulated reservoir, but we
8 are not taking advantage of that knowledge, because it is not
9 being reported out.

10 Perhaps the most common resource that we are using
11 for Delta analysis is the DAYFLOW data base which are the
12 daily Delta inflows, but I am suggesting that there is a whole
13 wealth of daily information about our water supply that should
14 be required as an actual Delta standard, because this would
15 then give the basis for understanding actual channel flows or
16 where the water came from. This is the basis for considering
17 the origin of the water and the prior water rights that may be
18 attached to that water.

19 If all that information is attached to the Sacramento
20 inflow so that you know what projects it came from, this gives
21 more information for doing this adaptive allocation which
22 involves a number of fairly involved rules, or might, of how
23 to, given this makeup of the inflow, allocate water.

24 In the area of salinity control we can do a lot more
25 with the available conductivity data and other data that you

1 required in 1978 under D-1485. We just need some help to get
2 that information processed and built into the adaptive
3 management framework. The most difficult to explain to people
4 is perhaps under the fish protection category. Do we really
5 have sufficient information here to do this adaptive
6 management of the Delta, and I am suggesting that there is
7 much more quantitative or could be much more quantitative
8 fishery resource information than is currently used. This is
9 a caricature, but we basically are making decisions based on
10 annual index values, that is, we accumulate a time series of
11 effects to the Delta management, one data point a year. You
12 cannot learn very fast with one piece of information a year.
13 You decide what your effects in the previous year were.

14 We're suggesting that there needs to be a fisheries
15 currency that is equivalent in level of detail to our
16 accounting for acre-feet and CFS flow rates, and I suggest at
17 this point it is basically the distribution and abundance of
18 the organism of interest in units of fish per acre-feet.

19 If you know on any one day what the distribution
20 pattern for fisheries was in units of fish per acre-foot, you
21 would begin to have the tool to manage that distribution, to
22 push the fish where you think they belong, to allow them to
23 move to where you think they belong.

24 And so we need a tremendous amount of help, and I am
25 suggesting that possibly information standards required by you

1 by Christmas in the area of fish abundance distribution
2 patterns is a step in the right direction.

3 I'm going to leave this general matrix and try to
4 give some more specific examples of what I'm trying to
5 describe here in the area of these adaptive allocation
6 standards. In the interest of time, I'm skipping over minimum
7 protection requirements because we are all familiar with
8 these. These are fixed outflow values for a month or fixed
9 maximum salinity values for a month, and in the short time
10 remaining I'm going to try to explain that third category of
11 standards that I am suggesting you implement.

12 Could I try my next overhead. This overhead could
13 have been up just a minute ago. What it is saying is
14 reminding you again of the availability of historical daily
15 data as well as the current Delta conditions. And if these
16 were available on an updated basis through, perhaps, the C DEC
17 System which has satellite or phone links to data collection
18 apparatus and has the ability for individuals to call up and
19 get this information, we would have the technological
20 structure for doing this adaptive management, that is, all the
21 research scientists or resource managers would have full and
22 equally shared access to all historical and current
23 information using the historical or current information to
24 make today's decision. And I have just listed out the types
25 of information that we could add to what we already have on

1 this daily basis. But go ahead and give me my next overhead,
2 please.

3 I have moved down, and I'm in the bottom right of my
4 tic-tac-toe matrix. I'm trying to explain some adaptive
5 allocation standards as applied to the fishery resource in
6 particular, and this diagram just reminds us of the three
7 basic elements in adaptive management.

8 The first thing that we need is information sources
9 on the resource, and in this case, the Delta water resources,
10 we will say, so this would be a whole series of information
11 sources. I have illustrated them with water quality
12 monitoring, our information on the Delta hydrodynamics, the
13 fish abundance sampling translated, in my scheme at least,
14 into actual density of fish at locations on days.

15 We have quite a lot of information on the salvage
16 records, the hatchery records, both on the amount of fish
17 grown and the release dates, when they are expected, and then
18 as a possible future, many other types of information could be
19 blended into this adaptive management once we are rolling.

20 The next step in the role, though, is to do some
21 evaluation of that data and so perhaps this is a step most
22 absent from current Delta management. We actually have quite
23 a bit of data collection going on, but there's not very much
24 consistent ongoing improving analysis, matching some of these
25 evaluation activities that would be mandated by your both

1 interim and long-term standards to evaluate the habitat
2 conditions in terms of the fish or organism needs for habitat.
3 To estimate the transport patterns resulting from the already
4 given Delta inflows, we're all left to our own devices at the
5 moment to estimate where the water is going. Much more of
6 this can be described and agreed on.

7 To estimate the distribution and abundance pattern,
8 this is there to replace the annual index of fish population
9 which gives you relatively little information for managing
10 that fish population.

11 We certainly do estimates of entrainment losses, but
12 what if we knew them on a day-to-day basis. This is being
13 illustrated in the current year with the take standards for
14 both winter run and Delta smelt which are actually dependent
15 upon the cumulative entrainment through a month or through a
16 period. But these evaluation activities that you would be
17 doing based on the monitoring that you've already required is
18 a new element of the standards that you should consider
19 actually mandating, that these middle evaluation activities be
20 taking place.

21 Finally, we have the control, the primary controls
22 that we are thinking about putting standards on, and what are
23 some of these? Well, you might schedule transport flows in
24 the river. Now, it might already be based on consultation
25 with Fish and Game or Fish and Wildlife as to when stocks are

1 expected or organisms vulnerable to diversion.

2 We are doing salt gradient control or talking about
3 it by pushing the estuarine gradient out to a certain
4 location, and we are doing it with flow, and that's a control
5 that we might implement.

6 We operate the facilities like the Cross Channel or
7 Montezuma Slough gates to achieve objectives. We certainly
8 control pumping, and we have some ability to schedule or
9 control the magnitude of hatchery or -- this is meant to
10 represent other things that you do to affect the Delta, things
11 that are under your direct control.

12 Could somebody tell me where I am on time?

13 MR. CAFFREY: You have 19 seconds. Don't know how
14 much more you have, Dr. Brown, but as I say, we have some of
15 the Board members who are on a tight schedule and if you need
16 much more time, I would be inclined to ask you to let the
17 other two speak. How much more do you need?

18 DR. BROWN: I think I'm ready to finish.

19 MR. CAFFREY: Okay.

20 DR. BROWN: I will go to my last overhead. The main
21 points I have tried to make are that we should change our
22 thinking in the December document, moving everyone involved
23 with the Delta to a daily time step in their thinking in how
24 they will monitor and how they intend to operate the
25 facilities and how they will report the response of the

1 various resource elements to the management action.

2 We should plan to have all that data in a central
3 place so that it can be shared, so that the decision-making
4 processes of what caused the decision to be made will be
5 shared.

6 This is a sort of consensus that would be supplied
7 immediately simply by requiring this sort of daily
8 information.

9 Secondly, there probably needs to be some minimum
10 protective standards of the sort that we are already familiar
11 with. So, one choice would be let D-1485 stand. There may,
12 though, be some of the D-1485 standard elements that actually
13 are aimed at providing an objective and may not be efficient
14 in doing so.

15 My example of that would be that by named months
16 forcing cutbacks in pumping. Over the long term, those are
17 the months when striped bass eggs and larvae are most
18 vulnerable. Striped bass eggs and larvae may not be the
19 managed species anymore, and fixed month cutbacks may not be
20 appropriate, but in general consider D-1485 as a fixed
21 minimum.

22 Almost everything else we would like to do with the
23 Delta should be considered as this third category. The
24 objectives may be very clear. The day-to-day implementation
25 and therefore the numerical criteria that you might end up with

1 that is the record of how you operated this, will not be
2 determined ahead of time. It can't be because things are too
3 variable.

4 I just wanted to end, then, that if this is hard to
5 grasp, that there actually have been quite a number of
6 adaptive standards in the previous documents. Consider D-1485
7 where the general objective was that things should be as good
8 as they would have been without the projects. This actually
9 required a comparison and a comparison is an adaptive
10 management objective, that you want it to be as good as
11 something else.

12 There were, of course, built into it a whole series
13 of adjustments based on hydrologic conditions, what we sort of
14 call the year-type. That is an adaptive approach, and the
15 Cross Channel gates were always meant to be adaptively closed.
16 That may not have been used, but the concept was there.

17 So, forgetting the rest of this, Jones and Stokes --
18 we are offering to join in the deliberations of staff in the
19 period between now and Christmas so that at your direction
20 your staff could direct us to do, using the models or the
21 historical data sets that we have sort of accumulated, to do
22 this sort of analysis, using our resources for your job. So,
23 we are making that offer to join you in much the same way that
24 other agencies have contributed their models or their staff
25 time, and we want to make that offer to your staff.

1 We think this concept of adaptive management could be
2 implemented in the document that you release in December.

3 Some of the information requirements will be easily
4 described, some of the fixed minimums can be pulled over from
5 previous standard documents, and these new adaptive management
6 techniques can be laid out, some initial objectives even put
7 down, and progress made toward this concept.

8 Thank you, and I'm sorry for being a little long.

9 MR. CAFFREY: That's all right, Dr. Brown. We
10 appreciate your thoughts.

11 We are going to hold our questions until we hear all
12 three presenters. I trust you will be staying in case we have
13 questions.

14 DR. BROWN: Yes.

15 MR. CAFFREY: We will take Mr. Vogel or Mr. Easton
16 next. What is the preference. Mr. Vogel, good afternoon,
17 sir. Welcome, Mr. Vogel, good to see you again.

18 MR. VOGEL: Good afternoon. My name is David Vogel
19 and I'm here on behalf of Delta Wetlands.

20 A little bit about myself -- I have 15 prior years'
21 work experience as a fishery scientist with the U. S. Fish and
22 Wildlife Service and the National Marine Fisheries Service.
23 During most of the 1980's I was the principal Fish and
24 Wildlife Service person in charge of conducting salmon
25 research projects on the Sacramento River Basin endangered

1 species. I even had various assignments as a Fish and
2 Wildlife Service Division Manager for Idaho, Nevada, and
3 California. Over the last four years I have been a consulting
4 fishery scientist working on a wide variety of fishery
5 research and restoration projects in Idaho, Washington,
6 Oregon, and throughout Northern California.

7 The key issue I am here today to talk about is issue
8 number one, the potential for using the fish survival indices
9 as a potential tool to set standards for the Delta.

10 I have provided the Board and staff with extensive
11 written documentation. I believe it is about 16 pages of
12 technical information that covers this topic, and within that,
13 I talked about the consideration of the use of the fish
14 survival indices, the limitation of present models used to
15 develop industries under consideration by the Board in setting
16 standards, my recommendations on how to improve those indices,
17 and last, some of the ideas I have on adaptive and
18 informational standards the Board may wish to consider for
19 the Delta.

20 It is my understanding that the Board may utilize the
21 fish survival indices as a tool to help develop fish and
22 wildlife standards. I want to emphasize fish survival indices
23 could be a useful tool towards developing those standards if
24 those indices are based on empirical data reflective of what
25 I call real-world conditions. However, it is important that

1 the Board recognize the limitation of the existing models
2 under consideration because those limitations will ultimately
3 influence the effectiveness of your standards if those models
4 are used. Most of the studies right here and now are focused
5 on the Fish and Wildlife Service salmon model. The Fish and
6 Wildlife Service has advocated ever since 1987 when I
7 participated in the hearing the use of the salmon model in the
8 Delta, and most recently, I believe was in January 1994 in the
9 Federal Register EPA has also proposed the use of the salmon
10 model for the Delta.

11 You have heard a wide variety of critiques from
12 various fishery scientists ever since the model was introduced
13 in the late 80's. People talk about the statistical
14 appropriateness or inappropriateness of it, the confounding
15 influences of water temperatures, etc., and I'm not going to
16 talk about those here. They are actually covered in past
17 hearings.

18 However, I will talk about a topic here that has an
19 extremely important influence on how that model is used and
20 quite surprisingly, this particular aspect has never been
21 flushed out since 1987.

22 It was not my role at that time to bring this out
23 because at that time my charge with Fish and Wildlife was to
24 talk about water quality and water quantity needs for salmon
25 in the Sacramento River Basin upstream of the Delta

1 independent of the issues within the Delta that we face here.

2 So what I would like to do is give you my
3 characterization of a profound assumption that is inherent in
4 the foundation of that salmon model that you really should
5 seriously consider, and much of this is derived from my many
6 years of experience conducting literally dozens and dozens of
7 similar type experiments. Much of this now has been acquired
8 through direct observations, quite literally direct
9 observations such as scuba diving and underwater videography.
10 Some of this footage has been shown on nationwide nature
11 documentaries such as PBS and even some footage has been shown
12 on Nightline.

13 MR. CAFFREY: We won't hold that against you.

14 MR. VOGEL: As you know, the Fish and Wildlife
15 Service conducted survival tests by releasing hatchery fish
16 that were tagged at various locations throughout the Delta and
17 captured them at Chipps Island and looked at the relative
18 sparse survival for those different groups of fish. But what
19 I would like you to do is sit back for a second and try to
20 visualize how those experiments were conducted, how they were
21 implemented.

22 Briefly, it goes as follows. They go up to a
23 hatchery like the Feather River Hatchery or the Coleman
24 National Fish Hatchery, load large numbers of fish, tens of
25 thousands of fish in these hatchery trucks that contain very

1 cold water. Those fish were then trucked 100 miles or so
2 downstream to the Delta and then dumped in broad daylight into
3 the warm water. Now, the receiving water is much warmer than
4 the water in those tanks.

5 Okay, now if you were standing there on the riverbank
6 and visualized this, this is likely what you would see. You
7 would see the driver of the truck pull the plug and see a wall
8 of water go out, but if you look down in the water, you are
9 very likely to see a bunch of white slipping out of the bottom
10 and at the same time you will see a lot of fish scatter
11 upstream and then you will likely see a lot of predatory fish
12 scurrying to gobble up these little fish like popcorn.

13 At the same time, if you walk downstream, you will
14 see this enormous mass of hatchery fish drifting downstream
15 near the surface in daylight.

16 Now, the reason that I bring that up and try to
17 visualize this, as I've often said in the past and in chapters
18 in books I've written, this sounds somewhat trite, but the
19 reason I bring this up here is that the Fish and Wildlife
20 Service has made a very important assumption that is the
21 foundation of the salmon model that's stated as follows: All
22 juvenile hatchery fall-run chinook salmon used in the Delta
23 survival experiment were assumed to behave as wild fall-run
24 smolts. Now, that sounds like an innocent and somewhat
25 innocuous assumption, but it is an extremely profound

1 assumption because it is the foundation of everything you've
2 heard to date on the salmon model.

3 Clearly, this hypothesis has to be carefully tested
4 to avoid the risk of implementing Delta standards which may
5 not measurably benefit fish or alternatively, could result in
6 worse conditions for fish.

7 Now, I use the word quote, "smolt", unquote and you
8 repeatedly have heard smolts over many years in the yearlings,
9 and if there's nothing else you get out of my testimony, I
10 would ask you that in all future hearings whenever someone
11 says quote, "smolt", unquote, ask them, how do you know that
12 fish was a smolt.

13 Now, the way EPA describes smolt and this is the 1994
14 Federal Register, they described it as a salmon in the process
15 of acclimating to a change from a fresh water environment to
16 a salt water environment. Now, that's true. That is an
17 accurate definition, but it is quite simplistic because there
18 are very complex morphological, physiological, and
19 behavioral changes associated with the transformation of a
20 parr salmon to a smolt salmon.

21 My point here is that all baby salmon are not alike.
22 In my belief, it very probably is an invalid assumption.

23 Now, I don't want to discredit the model to the point
24 that you think there's no hope for these fish to survive,
25 because that's not what I'm here to say. I am an advocate and

1 I truly believe that fish survival indices will be a very
2 valuable tool to ultimately develop useful fish and wildlife
3 standards, and I also believe that there is a lot of valuable
4 research that was done in the past, and with a little bit of
5 more sophisticated effort and better analytical tools, that in
6 particular pulled down from the Pacific Northwest, we can do
7 a better job as far as understanding what fish survival
8 indices would be appropriate.

9 Now, back to this thing about trucking the fish. I
10 have looked all over the literature, I have provided all kinds
11 of background on it. There is a guy up in Oregon who has
12 probably done the best job of characterizing the impact of how
13 you truck fish and the ramifications of why those fish really
14 aren't reflective of natural fish behavior and he says as
15 follows, talking about trucking fish:

16 Primary and secondary physiological stress response
17 factors undergo major reactions consequent to handling and
18 transportation procedures. Physiological reactions such as
19 the elevation and circulating levels of Cortisol initiate a
20 cascade of events that appears to hinder essential performance
21 characteristics of juvenile salmonids, including disease
22 resistance, sea water osmoregulatory ability and rate of
23 outmigration.

24 So, clearly the fish that were used in those tests,
25 in my mind, are not representative of wild smolt.

1 Okay, what do we do about that? Well, there is
2 actually quite a bit we can do about it and there's a lot of
3 folks in the Northwest who are doing something, as we speak,
4 to overcome these problems. There's some very sophisticated
5 and widely used and accepted analytical tools to ensure that
6 the fish you are testing are smolts. I am not going into all
7 the details that provide all the scientific documentation for
8 it, but there are certain things that you can use so that you
9 can actually tell whether the fish is a smolt. There are
10 things such as dumping them in at night, you can bring them
11 down at night, acclimate them for 24 hours, which is what they
12 do in the Northwest, and release them at night under natural
13 conditions. You can hold control groups of fish back and
14 monitor their latent mortality to ensure the numbers of fish
15 released are really the ones that survive.

16 And then, last, you can also monitor using much more
17 effective techniques for natural smolt outmigration.

18 And I would also like to point out there's a lot
19 being done in the Northwest. About two months ago I was up on
20 the Snake River, and you are performing a tour and
21 demonstration at Lower Granite Dam on Lower Snake River, and
22 the Corps of Engineers and the National Marine Fisheries
23 Service gave us a demonstration of very, very useful tools
24 they are using right now on quite literally day-to-day water
25 management and fisheries management on the Snake and Columbia

1 Rivers.

2 This is the way it goes. They have surgically
3 implanted transponders in the endangered salmonids that were
4 released up in Idaho and as these fish migrate downstream
5 through the series of dams, all that information is compiled
6 by computer, and every night without exception it is
7 downloaded to a central computer in Portland. That computer
8 then has the ability to compile and allow that information to
9 be accessible by anybody, the regulatory agencies, the fishery
10 agencies, professors conducting research, by 8:00 o'clock the
11 next morning.

12 And it's quite frustrating, I guess, for me when I
13 come back to California and I see these beautiful tools where
14 they are literally using day-to-day management, and it makes
15 me realize that California is quite a bit like an island, that
16 there is a lot of knowledge, a lot of tools that are already
17 being implemented today elsewhere that have a tremendous
18 application to the issues we face right now here in
19 California, specifically with the Delta.

20 I won't go into all the conclusions. They are all
21 provided in the last couple of pages, in the interest of time.
22 And there's some very, I think, enlightening things that would
23 be of a lot of benefit to the Board in applying informational
24 standards related to the hearing, and also adaptive standards.

25 You might want to consider utilizing the proposed

1 Shasta temperature control device to artificially increase late winter
2 and springtime temperatures in the river basins to accelerate
3 growth and increase the rate of smoltification and so you can
4 quite literally get the fish moved out of the system before it
5 is a major problem later in the spring or early summer.

6 That concludes my comments.

7 MR. CAFFREY: Thank you very much, Mr. Vogel. That
8 was very interesting. Would you be able to stay in case we
9 have questions after we hear from Mr. Easton?

10 MR. VOGEL: Yes, I would.

11 MR. CAFFREY: All right, Mr. Easton.

12 MR. EASTON: Members of the Board, I am Jim Easton
13 and I am here to discuss hearing issue number 1. It is Delta
14 Wetlands' view that it's very important for the Board to
15 establish standards that create an equitable and efficient use
16 of Delta resources and a balanced and practical approach to
17 Delta management.

18 What I would like to discuss with you is some of the
19 ways you might consider going about setting those
20 standards and then some of the institutional issues that you
21 might consider. It is a tough task to identify specific
22 standards that you can propose and perhaps implement by the
23 end of this year.

24 However, through various testimony that you have
25 heard, it is clear that it is possible to do several things at

1 this time. First, you can establish daily information
2 standards that require data to be collected and shared on a
3 real-time basis. These standards should define what daily
4 information is available and what needs to be developed in the
5 future to accurately describe and evaluate other proposed
6 standards.

7 Second, you can determine now and adopt minimum
8 protection standards. Some of them have already been designed
9 and others can be now.

10 Third, as Dr. Brown described, you can develop at
11 least a framework for setting what Dr. Brown described as
12 adaptive allocation objectives. And these are very important
13 steps toward establishing a Delta management system that will
14 efficiently use Delta resources and effectively protect the
15 Delta ecosystem.

16 Other entities in coalitions have testified that it
17 is possible now to establish the framework with the ultimate
18 goal of developing standards that would provide a
19 comprehensive protection program.

20 Other standards, such as the adaptive allocation
21 standards, will have to be formulated and tested over time.

22 In addition to the setting of numerical standards, it
23 is very important to consider the period that's to be used in
24 determining compliance with that standard.

25 There's been a lot of negotiation and dispute

1 regarding these averaging periods and compliance periods and
2 I am sure those of you that went through the 1630 hearings can
3 remember vividly, and those same debates still continue where
4 you have the operational flexibility and water needs of the
5 diverters on one hand balanced against the needs of the
6 fisheries and habitats to have continuous compliance with
7 standards that have been set with the intention of protecting
8 them.

9 Therefore, in addition to setting various categories
10 of standards, it is very important to focus on the periods
11 that will be used for determining compliance. In general, the
12 shorter the actual multiple day running average is for a
13 standard, the better the protection is for the fisheries and
14 habitats that are intended to be protected.

15 As Dr. Brown indicated today, and with which we
16 certainly concur, the Delta world should move rapidly to real
17 time management.

18 One of the benefits of daily management is the
19 improved ability to have short averaging periods for standard
20 setting so the intended fisheries and habitats have the
21 benefits realized consistently and constantly.

22 We are urging that the shortest averaging period
23 possible be established for every standard that your Board
24 proposes and adopts.

25 Dr. Vogel testified today on behalf of Delta Wetlands

1 and he has raised a concern related to the development of
2 Delta standards that some scientific tools upon which the
3 Board has relied to a great extent may be seriously flawed.
4 These problems can be corrected over time, but the key point
5 for standard setting purposes is to recognize the limitation
6 of these tools and their deficiencies if they are to be used
7 in the Board's initial standard setting.

8 We suggest that the Board should seek simultaneously
9 to improve these tools and develop new ones that will provide
10 a comprehensive, reliable, accurate and consistent scientific
11 basis for the current and future standards.

12 There's a lot of ways in which flexibility of
13 standards is important. Not only is there a clear need for
14 flexibility in using scientific tools that must be changed and
15 improved over time, but there must be a flexibility in setting
16 the standards themselves.

17 As Dr. Brown testified with respect to his adaptive
18 allocation standards, there are various requirements that have
19 to be balanced with one another. For example, in many
20 situations, meeting a QWEST requirement may very often
21 duplicate or result in a Delta export limit. A QWEST
22 standard and Delta Cross Channel gate closure might involve
23 the consideration of trade-offs rather than make a decision
24 that results in duplication. Every gate closure, every flow
25 requirement and other mechanical adjustment has to be

1 understood in the context of the entire hydrodynamic system of
2 the Delta.

3 If we do this, we will avoid, and it is essential to
4 avoid, the duplicative, ineffective or wasteful standards.
5 The resource is too precious to not be as efficient as we
6 possibly can in these.

7 And that's going to require the establishment and
8 careful consideration of trade-offs rather than just the blind
9 adherence to a standard.

10 The effectiveness of adoptive allocations can be
11 tested with modeling that has been developed and used
12 extensively by the project, and by others such as the Jones
13 and Stokes model, which has been mentioned.

14 One of the issues that underlies many of the
15 questions stated in the workshop Notice is who or what entity
16 is and will actually manage the Delta.

17 The standards the Board is going to establish are
18 a very important part of an overall management system for the
19 Delta, but unless those standards and the other aspects of the
20 Delta Management Program are consistently and wisely applied,
21 the objective that you are striving to achieve here will not
22 be achieved.

23 I know the Board members, Brown and Stubchaer, and
24 perhaps all of you, have been involved in a project or program
25 management of large, complex programs or projects, and you

1 know, as I know, that the larger the program or project is and
2 the more complex it is, the more important it is to have a
3 single entity or single individual who is responsible and
4 accountable for the success of that program or project.

5 And so I would strongly suggest to you that in
6 establishing these standards you also give a lot of thought to
7 how this management system is going to be applied. The Delta
8 master concept described by Dr. Brown in earlier workshops
9 could be one of the ways that you choose to manage the Delta.
10 This concept could also be very important because that entity
11 could also formulate and implement a comprehensive plan to
12 obtain much needed scientific information, together with the
13 development of an appropriate means of evaluating,
14 disseminating, and using that information to improve Delta
15 management.

16 I think all of us realize there's some pretty heavy-
17 duty decisions being made on some pretty weak science, or some
18 not-so-good science, and there is a crying need for better
19 science that will allow the Delta master, or this Board, or
20 whomever is going to manage the Delta, to improve standards,
21 and I think that this is going to be an iterated process, one
22 where we continue to improve the way we manage the Delta.

23 The Delta master is not just an academic idea, but it
24 is one that fulfills the need, as I have stated, for a single-
25 management entity that possesses the experience, expertise,

1 courage, and clout to be objective, decisive and fair in
2 managing an extremely complex system.

3 And the Delta master idea might be new only in the
4 Delta context. I am sure many of us are familiar that the
5 water master concept has been used in the management of
6 complex interstate stream systems, and the management of
7 ground water basins, and perhaps one of the most important
8 benefits in this concept is that it would allow immediate
9 response to information and make possible the daily management
10 of the Delta.

11 A system can be designed so that the Delta master's
12 authority and jurisdiction would not detract from the
13 authority or jurisdiction of this Board or any other agency.
14 Optimally, it would enhance the powers of those agencies by
15 allowing immediate translation of information to action.

16 It is our view that one of the most important goals
17 of this proceeding has to be to come as close as possible to
18 a means of managing the Delta on a real-time basis. Everyone
19 would benefit from that approach so long as it allows a
20 practical amount of operational flexibility to the project
21 operators and diverters.

22 Daily standards would reflect the movement toward
23 actual daily operations. It would be both far-sighted and
24 practical.

25 Finally, on a little bit of a procedural note, we

1 notice with interest on item 2 on the Agenda today some very
2 important information that the Board was asking in an attempt
3 to have the economic analyses that are going to be made by
4 perhaps your own staff and consultants and others to be
5 consistent with one another and to evaluate the consistency
6 and applicability of those economic models.

7 We would suggest to you that it would be equally
8 important to do the same thing when it is applied to models
9 that are focused on the other two aspects of the Delta
10 management, that of water costs and fish and wildlife
11 population and habitat. And we would suggest to you,
12 Mr. Chairman, that perhaps an examination and evaluation of
13 the models that address themselves to water allocation costs
14 and fish population and habitat might be an appropriate
15 subject for your August workshop, if you choose to have one.

16 You have heard the offer by Jones and Stokes to make
17 available the transport model SOS and daily SOS to assist your
18 staff in evaluating the proposed standards. We join in that
19 offer to make that available to the Board at no cost.

20 In closing, we want to urge you to consider carefully
21 establishing the daily information standards Dr. Brown has
22 outlined. We think that would be of significant help in
23 establishing other standards.

24 The minimum protection standards, which were the
25 second category, can also be set and begun to be implemented

1 this year. The adaptive allocation standards will require
2 more time and a trial period to test their usefulness because
3 we can't try them and test them all by the end of this year.
4 Certainly, the framework under which they can be tried and
5 tested should be a part of your initial standard setting, and
6 we would strongly suggest you try some of these as soon as you
7 possibly can.

8 Some may think that what I have said has been self
9 serving. We certainly hope not. The Delta Wetlands project is
10 a unique water supply project in the Delta that may not come
11 to fruition if the Delta resources are mismanaged, and that
12 unhappy consequence will be minor compared to the dreadful
13 statewide economic consequences and the loss of opportunity to
14 restore and protect one of our most valuable and diverse
15 ecosystems.

16 And that concludes my remarks. Do you have any
17 questions you would like to ask us, any of the three of us.

18 MR. CAFFREY: Thank you very much, Mr. Easton. Are
19 there any questions from the Board members.

20 MS. FORSTER: Is there someone else to speak?

21 MR. CAFFREY: Mr. O'Brien will be speaking next.

22 MS. FORSTER: I have some things to talk to you
23 about, but do you care if we just get through the last
24 speaker?

25 MR. EASTON: That's easy.

1 MR. CAFFREY: Thank you. We appreciate your
2 indulgence, and we give you and Mr. Hall from yesterday
3 badges. Mr. O'Brien, good afternoon.

4 MR. O'BRIEN: Thank you, Mr. Chairman and members of
5 the Board. I was not planning to speak today, but Ms. Forster
6 indicated an interest in hearing about the status of the fish
7 screening proposal. I would like to address that briefly. I
8 would also like to make some follow-on comments to the
9 comments made by Mr. Robbins this morning about the transfer
10 process. And I would like to say I do endorse the comments by
11 Mr. Lilly and Mr. Chatigny and Mr. Robbins this morning as
12 well.

13 As you know, I sent each of the Board members
14 following the last workshop a document which had been
15 submitted on behalf of our clients to the National Marine
16 Fisheries Service in response to their advanced notice of the
17 proposed rule making regarding the proposal to require
18 screening and diversions on the Sacramento River and in the
19 Delta.

20 The essence of the proposal is that rather than adopt
21 a unilaterally mandatory screening rule, why not sit down in
22 a process which is established under the Federal
23 Administrative Procedures Act called Negotiated Rule Making,
24 get a technical committee together and figure out what the
25 best way would be to attack this problem.

1 And specifically, we suggested a four-point approach.
2 Number one, let's agree on the criteria by which a particular
3 pump needs to be screened. If a pump is on record as taking
4 three fish through an entire irrigation season, it makes no
5 sense scientifically or economically to require a screen for
6 that pump. We ought to all be able to agree on that.

7 Number two, let's do some testing of some of the
8 pumps that we think may have problems and figure out the level
9 of the problem.

10 Number three, let's prioritize the pumps on the
11 system, figure out the ones that need assistance the quickest.

12 And number four, let's try to identify some funding
13 to help these districts deal with this problem.

14 It doesn't take an economist to figure out that the
15 debt service on a 5 or 6 million dollar fish screen for an
16 agricultural district with 20 or 30 thousand acres of
17 irrigated land, that they're not going to be able to carry
18 that debt. If this is going to be imposed, there simply has
19 to be some funding mechanism that is set up to assist these
20 districts.

21 We have not received a formal response to that
22 proposal. We have been told through informal channels that it
23 was favorably received. It is being reviewed. I think
24 legally it is sound. I think there's a policy decision NMFS
25 needs to make on whether this kind of cooperative approach is

1 the way they want to go. If they don't choose to go that
2 approach, it is our position that they would have to do a
3 lengthy environmental impact statement before they can adopt
4 any rule.

5 I think this approach will result in the fish being
6 protected a lot faster and a lot more effectively and we are
7 very hopeful that NMFS will agree with that.

8 Any other questions in particular, Ms. Forster, that
9 I could answer?

10 MS. FORSTER: I am trying to get a better picture of
11 what is happening with Fish and Wildlife, and that's why I
12 asked that question this morning, because if we are going to
13 do this comprehensive look, it is important to be able to
14 point to the areas that are finding success. I mean, they
15 must all fold into salmon restoration some way or another.

16 I remember 1630 where everybody wanted to screen all
17 diversions, and then the fund was supposed to help with the
18 screening and I haven't heard a whole lot of that same
19 information at these hearings, but yet I have been trying to
20 follow your situation and read whatever I can, so that is the
21 reason I brought it up.

22 MR. O'BRIEN: I think it is very wise for the Board
23 to take that kind of comprehensive look at this situation,
24 because I think the worst possible outcome would be if we
25 focused all of our resources, limited as they are, on one part

1 of the problem, let's say you require a screen on every pump
2 in the Sacramento Valley, and that costs 100 million dollars,
3 and we find out ten years from now that it was really ocean
4 harvest that you needed to be focusing on, then that 100
5 million dollars hasn't really solved the problem and that
6 would be a terrible outcome, and I think the Board understands
7 that and I commend the Board for that sort of comprehensive
8 approach.

9 I would add, however, and this follows on what Mr.
10 Lilly said, I think the issue of fish entrainment is something
11 that can't be dealt with on a regional basis or even a river-
12 by-river basis. It has to be dealt with on a pump-by-pump
13 basis. I think it is difficult in the context of this Bay-
14 Delta-type proceeding for this Board to really do the sort of
15 focused inquiry that it is going to take, and I think the NMFS
16 process, in my mind, offers more hope that we can have an
17 extended process to focus specifically on that issue and
18 certainly keep this Board informed to what we are doing.

19 MS. FORSTER: Thank you.

20 MR. O'BRIEN: The second, just brief comment,
21 following on Mr. Robbins' comments this morning about the
22 transfer process, I recommend that it is a little bit off the
23 beam as far as what this workshop is supposed to be about.
24 But it is my view, and I think the view of many of the water
25 right holders that water transfers, if properly done with

1 proper controls, provide a real opportunity for this Board to
2 begin to untie this Gordian knot which is our Bay-Delta
3 problem. Like Mr. Robbins, I have been involved recently in
4 some transfers, and frankly, I think the process is
5 increasingly seriously broken and I think ultimately this
6 Board is going to have to play a role in fixing it.

7 My personal view is that a big part of the reason why
8 the process isn't working is that the two water projects have,
9 in large part, usurped the role of this Board in the decision-
10 making process to approve water transfers. That's happened
11 under the guise of their authority to approve the conveyance
12 of transferred water under Water Code Section 1810, but
13 frankly, the way it works in real life is that the projects in
14 essence are put in a position of having the de facto veto over
15 proposed transfers, and a lot of these issues never get to the
16 Board because transfer proponents are told at the outset or in
17 this process that the projects won't support it. They won't
18 give conveyance capacity and therefore, there is nothing to
19 transfer.

20 I think we all understand that the projects are not
21 exactly disinterested parties in the transfer process. They
22 operate projects, they have project contractors that are very
23 influential with the project and they should not be the ones
24 who are involved in making the substantative decisions of
25 whether a particular transfer will or won't result in injury

1 to water users, which is the legal standard that applies in
2 the Water Code, and I would hope that either through this
3 process or through some other process, the Board could take a
4 real hard look at that.

5 I will give you just one brief example. The Bureau
6 of Reclamation is proposing transfer guidelines that would
7 apply to transfer of base supply water held under the
8 Sacramento River water settlement contract which is water
9 rights, not project water and these guidelines will give the
10 Bureau approval authority over transfers involving these water
11 rights components whether or not we are using Bureau
12 facilities at all for the transfer.

13 So, if one of my districts includes the county that
14 wants to transfer water to the County of Sacramento by letting
15 it flow down the Sacramento River, the Bureau of Reclamation
16 is saying, we have the right to come in and review that and
17 approve it before it even goes to the Water Board, and these
18 are currently proposed guidelines. I think that's
19 inappropriate. We have told the Bureau that and I think the
20 Board ought to tell the Bureau that at some point. Thank you.

21 MR. CAFFREY: Thank you, Mr. O'Brien. Mr. Stubchaer.

22 MR. STUBCHAER: Why do they claim they have authority
23 on transfers that don't use their facilities?

24 MR. O'BRIEN: I think their claim, Mr. Stubchaer, is
25 that under their contract, they have to approve all transfers

1 involving water in the contract. Our view is that that
2 certainly applies to the project water component, but when we
3 are dealing with the base supply water right component, they
4 really don't have any substantive - approval authority.

5 MR. BROWN: Kevin, don't they also lay claim to
6 return flows?

7 MR. O'BRIEN: Yes. That is a very significant issue.

8 MR. BROWN: They also claim deep percolation is also
9 return flow.

10 MR. O'BRIEN: There is a very big controversy, Mr.
11 Brown, as to how you account for deep percolation in water
12 transfers. The State Water Code Section 1720, I think, makes
13 it very clear that deep percolation to groundwater basically
14 should be considered consumptive use, and therefore, that
15 water should be available to transfer, but the Bureau and the
16 State don't follow the State Water Code in that respect, and
17 I think it is frankly outrageous that the Legislature has
18 spoken clearly on that issue and we have got a State agency
19 and a Federal agency simply refusing or choosing to ignore
20 that because they don't like the outcome.

21 MR. BROWN: Mr. O'Brien is raising a good point,
22 particularly with deep percolation, particularly where you
23 are making a transfer within basins particularly contiguous to
24 one another, you can have one transfer that would have a
25 charge of deep percolation moved over to another block of ground

1 and charge deep percolation on that because they are going to
2 have it in addition, so you have one block of water and two
3 pieces of ground with two deep percolations assessed, and that
4 precludes economically the transfer of water. I mean, it
5 needs some follow-up, and I am not sure how we do that.

6 MR. STUBCHAER: I would like to make a comment. It
7 appears to me that that's a two-edged sword. If you say deep
8 percolation is consumptive use, then the people in the San
9 Joaquin Valley who you heard from yesterday would be quite
10 unhappy because they say that deep percolation is not
11 consumptive use as long as it is available for reuse or
12 additional use, unless it is overlying a salt sink.

13 MR. O'BRIEN: I was not here yesterday. Was that in
14 a transfer context?

15 MR. STUBCHAER: No, it is consumptive use that
16 counts, not diversions; deep percolation is not a consumptive
17 use, so it is just kind of a different context, but it is the
18 same concept.

19 MR. O'BRIEN: And I recognize, Mr. Stubchaer, there's
20 some important and difficult policy issues here. I guess my
21 main point is I think those decisions ought to be made by this
22 Board which is an independent regulatory authority, not by
23 project operators who have a vested interest in doing these
24 things a certain way.

25 MR. CAFFREY: Thank you very much, Mr. O'Brien. Any

1 questions from staff of Mr. O'Brien? Thank you, sir, we
2 appreciate your comments and your being here and waiting as
3 long as you did, as did many others.

4 That takes us now back to the question and answer
5 period of Dr. Brown, Mr. Easton, and Mr. Vogel. I believe Ms.
6 Forster had some questions.

7 MS. FORSTER: I guess I was just going to ask Jim if
8 this concept of the Delta master and the other information
9 that you shared today, have you shared this with CUWA and the
10 groups that are meeting, as a tool to use? I mean, it reminds
11 me of something the San Diego Board is looking at doing for
12 San Diego and that is that they have found 15 regulatory
13 programs that are doing the same thing, so they want to do a
14 super computer. A super computer is going to show a lot of
15 information, both good and bad, that might not have been so
16 obvious before.

17 And I am intrigued by your idea because of the dark
18 side of doing these issues. You never really know if what you
19 are doing is working and it's hard to know if we have the
20 methodology to say is this experiencing any success. It would
21 be like a super computer that all these different agencies
22 would find a valuable source and I am not a computer expert
23 like these guys are and I have heard so many people say those
24 things don't work. You think they are going to work and then
25 they tell us these horror stories, I'm the sociologist of the

1 group and I think these kinds of things are wonderful new news
2 of workable tools and I am sure the Chairman is going to say
3 you should offer your assistance to the staff. I am just
4 wondering how much you have broadcast this to the other
5 interested parties and if they go wow or if they go um.

6 MR. EASTON: To my knowledge, we haven't discussed it
7 with CUWA or others that have been trying to coalesce on some
8 recommendations regarding specific standards. We have not
9 shared this with them.

10 I would just like to comment on something you said
11 about the super computer. There is a great deal of need for
12 us to use the computer more in gathering and as a tool to
13 analyze the information that is available, but I think it is
14 far more important that there be established an entity with
15 people in it who have the knowledge and the courage and have
16 the big picture of what is going on in the Delta in order to
17 use the information that could come from a network such as you
18 have described to adequately manage these precious resources.
19 I think it is the people rather than the technology that's
20 going to make a success or failure out of management of the
21 Delta, even though there is a great need for better science
22 and better use of that science utilizing the computer.

23 Dr. Brown, the question that might occur to you that
24 is related to this is we know that we have a number of
25 talented scientists in the agencies and in the conglomerate

1 that they call the inter-agency ecological program, and we
2 might ask ourselves, why aren't we getting more useful
3 information from them. We know them as talented scientists,
4 and I have only one idea to explain it, and it has to do with
5 this: Because the standards are fixed and were set back in
6 1978, there is sort of no one to show the results of your
7 sampling or your studies. In other words, you can get
8 together with each other and say, look what I found this year.
9 Isn't this interesting, concerning striped bass or whatever
10 you are studying, but there was sort of no one to show it to
11 who would make anything new happen and so, in some sense, it
12 is simply that, there was not the Delta master or an ongoing
13 management framework that was willing to change how they
14 operated, and so because there is no one to show it to, it
15 doesn't get shown, and we are saying if you were to implement
16 this adaptive management framework, even minus some of the
17 parts in December, there might be a real change in how the
18 individual scientists now perceive their jobs and write their
19 reports because now there is someone to take their results to,
20 and the Delta might change as a result of their studies, and
21 so this may have some catalytic effect on what is presently
22 going on.

23 MR. CAFFREY: Mr. Stubchaer had a question.

24 MR. STUBCHAER: I have a question. Mr. Easton, were
25 you here all day yesterday?

1 MR. EASTON: I was.

2 MR. STUBCHAER: You heard the discussion with members
3 of the Club Fed on adaptive management?

4 MR. EASTON: That was extremely interesting.

5 MR. STUBCHAER: On what their thoughts of what a
6 suitable time period was, not one day, but one to three years,
7 the triennial review; and the standards which we adopt,
8 certain parts of them have to be approvable by the EPA, so do
9 you have any comments on how to come up with adaptive
10 standards that are approvable by EPA?

11 MR. EASTON: That certainly is the major legitimate
12 concern, but I think that if we don't go towards adaptive
13 management of the Delta, we are going to be faced with the
14 situation of wastefully managing the Delta. I personally
15 think that the statement that was made that we should do this
16 on a one to three-year basis is an unreasonable one, just from
17 a common-sense standpoint of what is needed to manage the
18 Delta. We either have the information, or we can get the
19 information. We have the tool and the computer to be able to
20 assemble that information and evaluate it quickly.

21 There's no reason that I know of that we should not
22 operate that way to manage this resource. To do anything less
23 is going to do it inefficiently, I believe.

24 MR. STUBCHAER: That is fine, but that didn't quite
25 answer my question.

1 MR. EASTON: Are you asking me, Mr. Stubchaer, how
2 you are going to get approvable standards? I don't know the
3 answer to that question.

4 MR. CAFFREY: Let me try the question another way.
5 Lest anybody in the audience doesn't know it, you were at one
6 time the executive officer of this Board, Mr. Easton, and I
7 think you are quite knowledgeable about the laws and the
8 procedures of the Board. What is it specifically that you are
9 asking the Board to do, and by that I mean you know what a
10 water quality plan is. What aspect of what you are describing
11 could legally be included in a water quality plan for
12 submission or non-submission, if you will, to EPA. We have
13 talked around here for several days about a comprehensive
14 plan. There has been discussion about, you know, what does
15 and what doesn't get submitted to EPA, what I hear you talking
16 about is a management technique as much as anything else, and
17 if you try to convert it to standards, if we are talking about
18 daily standards, or whatever, if they are not implementable
19 without the system, I am not sure I understand what we are
20 about.

21 MR. EASTON: You are going to help me with the legal
22 part of this. Let me see if I can address the question. I
23 think that the Board has not only the right but the
24 responsibility to be concerned that the standards that you
25 are going to establish are going to be implemented, and as I

1 mentioned before, I think these standards constitute the
2 majority of a Delta management system. And I think if
3 standards are promulgated and standards have been promulgated
4 in the past, recent past, and what we have had in the Delta is
5 chaos because, in my estimation, we have seen control of what
6 happens in the Delta shift from one agency to another agency
7 and back to another agency.

8 I think that the Board has the responsibility to see
9 to it that there is responsible management of the Delta, not
10 just responsible standards, but responsible management for the
11 Delta. I believe, and please, those of you who are far wiser
12 than I, correct me if I'm wrong, I think you have the power to
13 do that or at least to propose it. Again, you cannot usurp
14 the authority of other agencies and I am not suggesting that,
15 and I hope we pointed that out, but somebody has to be a
16 facilitator, a coach, a big-picture person, somebody who knows
17 everything of what's going on, and they may have to rely on
18 the authority of the U. S. Fish and Wildlife Service or NMFS
19 or the California Department of Fish and Game, but what needs
20 to happen is that this information needs to be translated
21 quickly into action and that can be done, but the management
22 mechanism to do that needs to be established by someone, and
23 I believe your Board has the power and the responsibility to
24 do that, Mr. Chairman.

25 MR. CAFFREY: If we do, I don't know that. And maybe

1 it goes to what mode we are in. We are in the water quality
2 standard setting right now, and in that mode I suppose we
3 would have the authority to make suggestions as to how the
4 standards we set in that same mode might be implemented or
5 ramped, or whatever way you want to describe it.

6 But the actuality of requiring the operators to
7 implement a management system, to me, is something that has to
8 take place, at least in the water rights process, if not even
9 in some higher venue.

10 I'm not sure. I like the concept as an academic
11 concept and I don't mean academic in a derogatory way. You
12 know, in a perfect world, I think these are very interesting
13 concepts, and I would love to be able to see that capability,
14 but what I think about when I hear it is the tremendous cost,
15 and you know, and who has the authority to make somebody do
16 it.

17 The thing that goes through my mind is that if I were
18 operating a major system such as the State Water Project or
19 the Central Valley Project and I became aware of this concept,
20 and I am sure they have all listened to it, I would be very
21 interested in finding out more about it, and if I felt it was a
22 compelling and productive thing to do, I would certainly start
23 looking for the resources or at least trying to cost it out
24 and see if it was something we could do. I don't know to what
25 extent you have talked with the management agencies, water

1 management agencies. I am talking about the two major
2 ones, at least.

3 MR. EASTON: They wouldn't like this, I don't think.

4 MR. CAFFREY: If they say they don't like it, that
5 doesn't mean you give up.

6 MR. EASTON: I am not suggesting we give up. I guess
7 what we are asking the Board to consider, and I recognize that
8 before you really get to the management of the Delta, you have
9 got to go through the water rights process, but I thought I
10 heard it articulated by the Board at the beginning of these
11 series of workshops that you intended to go into the Water
12 Rights hearings with some very specific guidelines and very
13 specific ideas of what should come out of those hearings.

14 And I guess what we are suggesting now is that while
15 you are considering standards, also consider, even though you
16 may not be able to implement this system immediately, what
17 kind of system is needed to determine and effectively
18 implement these standards.

19 MR. CAFFREY: I think this is a semantic colloquy and
20 I am not disagreeing with you, but that's why I used the term
21 "suggestions" because, again, I am not a lawyer, but one of
22 the ways a comprehensive plan could work is it would be
23 standards set for the review and approval of the U. S. EPA and
24 then there would be a section or sections that deal with other
25 constraints that would tell the parties what the parameters

1 are and what we are going to consider in the water rights
2 process, but I am not even sure that legally even that
3 constrains the Board.

4 They might be nothing more than suggestions even to
5 ourselves.

6 I'm looking at Barbara Leidigh, if we were to develop
7 such a plan and get into the water rights process and find we
8 wanted to go with a scope that was different than that, we
9 would have the authority to do that, would we not, and then go
10 back and change our plan?

11 MS. LEIDIGH: With water rights, clearly what the
12 Water Code says is that the Board is to consider the contents
13 of the Water Quality Control Plan in deciding on the
14 allocation of water. That is not an absolute mandate for the
15 Board to implement all of those directly before it can do
16 something a little bit different in a water right decision,
17 and at that point, it would make sense for the Board to then
18 go back and revise the water quality control plan.

19 MR. CAFFREY: Thank you, Barbara. None of my
20 comments, by the way, are in any way at all to cast doubt or
21 aspersions on what you are proposing. Again, I think these
22 are very interesting and important concepts. I am trying to
23 make sure I understand what you are suggesting that we do and
24 that I also understand what our capabilities are.

25 MR. EASTON: What I am proposing extends beyond the

1 traditional role of the Board. It extends beyond the
2 traditional role of any single regulatory agency I know of,
3 but it is sorely needed, and that entity or that individual
4 does not have to possess all of the regulatory authority
5 necessary to deal with the problems in the Delta, but
6 somebody needs to take a piece of information and say, this
7 means X, and therefore, we should consider the following
8 alternatives to deal with that and then get it put into
9 action with the agencies that do have authority so that a
10 decision can be made on a timely basis for how to deal with
11 that particular condition or problem.

12 MR. CAFFREY: Mr. Brown.

13 MR. BROWN: Thank you, Mr. Chairman. What Mr. Easton
14 is saying, and I think it makes really great sense, in that
15 there is a little precedent that has been set. There's a
16 little precedent that has been set for resolving problems of
17 this magnitude.

18 It's one thing to come up with a solution as far as
19 the standards and to identify those requirements. How to
20 implement those requirements may be just as important as what
21 the requirements are, is what I hear Jim say. I don't know
22 whether that is the responsibility of this Board or some other
23 entity, but certainly the implementation process is extremely
24 important in what we do, and I would hope that we would have
25 some thought and consideration given to how the process should

1 be implemented, maybe even in addition to how or what agency
2 or agencies should be part of the implementation process.

3 The water master is certainly one concept, one idea,
4 and one that should be considered. Thank you for your
5 thoughts.

6 MR. CAFFREY: Anything else from the Board members?
7 Anything from staff?

8 Thank you, gentlemen, for a very good discussion.

9 Let me announce that we have completed all of the
10 cards and that based on the number of requests we have had
11 verbally and in writing for an additional workshop, that we
12 will schedule one more workshop. As to the scoping of the
13 workshop and the actual date, that will be determined in the
14 next several days and then we will put out a Notice.

15 I anticipate and don't hold me precisely to this, but
16 I am looking at staff, I anticipate that we would be looking
17 to having that workshop in the next four to six weeks.

18 MR. HOWARD: Hopefully, in the August 20 to 30
19 period.

20 MR. CAFFREY: Possibly in the early 20's of August,
21 then.

22 Let me again repeat that because of our commitment in
23 the framework agreement and in other venues to complete our
24 Draft Plan by December, that we would certainly require our
25 staff to continue on their current work schedule to start to

1 REPORTER'S CERTIFICATE

2 ---o0o---

3 This is to certify that I, ALICE BOOK, a Certified
4 Shorthand Reporter, was present during the Workshop of the
5 STATE WATER RESOURCES CONTROL BOARD, STATE OF CALIFORNIA,
6 held in Sacramento, California, on July 13 and 14, 1994;

7 That as such I recorded in stenographic writing the
8 proceedings held in the matter of Review of Water Quality
9 Standards for the San Francisco Bay/Sacramento-San Joaquin
10 Delta Estuary;

11 That I thereafter caused my said stenographic writing
12 to be transcribed into longhand typewriting and that the
13 preceding Volumes V and VI, constitute said transcription;

14 That the same are true and correct transcriptions of my
15 said stenographic writing for the dates and subject matter
16 hereinabove described.

17 Dated: July 29, 1994

18

19



20

ALICE BOOK

21

22

23

24

25